

**Canadian Nuclear  
Safety Commission**

**Commission canadienne de  
sûreté nucléaire**

**Public Meeting**

**Réunion publiques**

**October 5, 2006**

**Le 5 octobre 2006**

Public Hearing Room  
14th floor  
280 Slater Street  
Ottawa, Ontario

Salle d'audiences publiques  
14e étage  
280, rue Slater  
Ottawa (Ontario)

**Commission Members present**

**Commissaires présents**

Ms. Linda J. Keen  
Dr. Moyra McDill  
Mr. Alan Graham  
Dr. Christopher Barnes  
Mr. James Dosman  
Mr. André Harvey

Mme Linda J. Keen  
Dr. Moyra McDill  
M. Alan Graham  
Dr. Christopher Barnes  
M. James Dosman  
M. André Harvey

**Secretary:** Mr. Marc A. Leblanc

**Secrétaire:** M. Marc A. Leblanc

**General Counsel :** Jacques Lavoie

**Conseiller général :** Jacques Lavoie

(ii)  
**TABLE OF CONTENTS**

<b>06-M46</b> Opening Remarks	1
<b>06-M47/06-M47.A</b> Adoption of Agenda	3
<b>06-M48</b> Approval of Minutes of Commission Meeting held August 16, 2006	3
<b>Status Report</b>	
<b>Significant development Reports no. 2006-6 and 2006-7</b>	
<b>06-M43</b> Restart of MAPLE 1 Reactor	4
<b>06-M43</b> Molybdenum-99 Production Facility at the Chalk River Laboratories	4
<b>06-M43.A</b> Station Alert at Gentilly-2 at Bécancour(Québec)	4
<b>06-M49.A</b> Security Incident - Hydro-Québec's Gentilly-2 Nuclear Generating Station - August 17, 2006	4
<b>06-M49</b> Update to CMD 06-M43, Molybdenum-99 Production Facility At the Chalk River Laboratories	4
<b>06-M49.B</b> Security Incident - Darlington Nuclear Generating Station - August 17/06	4
<b>06-M44 / 06-M50</b> Status Reports on Power Reactors	45
<b>Decision Item</b>	
<b>06-M52</b> Status Report on Site Conditions and Progress on the Licensing Process of Waste Management Areas Owned by the Crown, Historic Contaminated Lands, and the Deloro Mine site	52

Ottawa, Ontario

--- Upon commencing at 11:00 a.m.

**06-M46**

**Opening Remarks**

**MR. LEBLANC:** Bonjour Mesdames et Messieurs.  
Bienvenu à la Commission Canadienne de sûreté nucléaire.

At today's meeting we have simultaneous translation. If you would, please keep the pace of speech relatively slow so that the translators have a chance of keeping up.

Les appareils de traduction sont disponibles à la réception. La version française est au poste 8 and the English version is on Channel 7. Please identify yourself clearly before speaking so that the transcripts are as complete as possible. Les transcriptions seront disponibles sur le site web de la commission dès la semaine prochaine. Please silence your cell phones. Madame Keen, Présidente et première dirigeante, présidera la reunion publique d'aujourd'hui.

**THE CHAIRPERSON:** Good morning and welcome to the meeting of the Canadian Nuclear Safety Commission today.

I would like to begin by introducing the members of the Commission that are with us today. On my left is Mr. Alan Graham, Dr. James Dosman and Mr. Andre

1 Harvey. On my right, Dr. Moyra McDill and Dr. Christopher  
2 Barnes.

3 As well as the secretary of the commission,  
4 Marc Leblanc, we also have with us on the podium the  
5 General Counsel and Chief Legal Advisor to the Commission,  
6 Jacques Lavoie.

7 The Commission is still on an enhanced  
8 security status as are many of the facilities that we  
9 regulate. As such, we will take measures necessary to  
10 ensure that sensitive matters of a security nature are not  
11 discussed in public and I will, as necessary, call for an  
12 *in camera* session where the Commission members and  
13 appropriate members of the licensee community, if  
14 necessary, and Staff will be called into the back room to  
15 discuss security matters. And we do have security matters  
16 on the agenda today.

17 **THE CHAIRPERSON:** I will begin the meeting  
18 by calling for the adoption of the agenda. This is noted  
19 in the following documents: CMD-06 M47, 06 M47A. We will  
20 -- the public portion of the August 16<sup>th</sup>, 2006 Commission  
21 meeting was adjourned until today's meeting, so therefore,  
22 Commission member documents, 06 M43, M43.A and 44 are also  
23 listed on the agenda. They would have originally been  
24 discussed in August but they are on the agenda today.

25 I also would like to note there is one

1 Supplementary CMD that has been added to the agenda after  
2 the agenda's publication on September 22<sup>nd</sup>, 2006 and this  
3 is also listed on the updated agenda.

4 So with that in mind, noting that M49.A,  
5 M49.B and M53 are confidential documents dealing with  
6 security and will not be discussed in public, with all  
7 that information tabled, may I ask the Commission members  
8 for their concurrence with regards to the agenda.

9 Do I have concurrence?  
10

11 **06-M47 /06-47.A**

12 **Adoption of Agenda**  
13

14 **THE CHAIRPERSON:** For the record, I would  
15 like to note that the agenda has been adopted.

16 I will now call for the approval of the  
17 minutes of the Commission meeting which was held on August  
18 2<sup>nd</sup>, 2003. The minutes are outlined in Commission member  
19 document 06-M48. And I note that we do not have any  
20 follow-up updates from that meeting for today's  
21 consideration.

22 **06-M48**

23 **Approval of Minutes of Commission Meetings**

24 **Held August 16, 2006**  
25

1                   With that information, are there any  
2                   comments, additions or deletions that Commission members  
3                   would like to make to the draft minutes of August 16<sup>th</sup>?

4                   Seeing no changes, then I would for the  
5                   Commission members to approve the adoption of the minutes,  
6                   do we have approval?

7                   **MR. LEBLANC:** Yes.

8                   **THE CHAIRPERSON:** Noting for the record, we  
9                   do have approval.

10                  The next item on the agenda today is  
11                  significant development report, 2006-06 and significant  
12                  development report, 2006-07. These are outlined in CMD's  
13                  06-M43, M43.A, M49, M49.A and M-49.B.

14                  As the significant development reports are  
15                  already in written form, senior CNSC Staff will be asked  
16                  first if they wish to add anything orally with respect to  
17                  each one of these reports that are within their respective  
18                  areas of responsibility, and after that, we will then move  
19                  to members' questions, if so appropriate.

20                  As I mentioned earlier, there are two  
21                  significant development reports today that deal with  
22                  security and they will be discussed in closed session.

23                  So we will now move then to the first two  
24                  significant development reports that we will be discussing  
25                  and they fall under the responsibility of Mr. Barclay

1 Howden, Director General of the Directorate of Nuclear  
2 Cycle and Facilities Regulation.

3 The first one is Item 4.1.1 which the  
4 restart of MAPLE 1 Reactor. We do have that information  
5 in written form.

6 Mr. Howden, do you wish to add any  
7 additional comments to this item?

8 **MR. HOWDEN:** Barclay Howden speaking.

9 At this moment in time we don't have  
10 anything further to add, but Staff is here, prepared to  
11 respond to questions. Thank you.

12 **THE CHAIRPERSON:** I understand we also have  
13 representatives from AECL with us today in case the  
14 Commission wishes to add ask any questions.

15 Would AECL like to make any comments before  
16 I open the floor for questions on this item of Maple?

17 **MR. TAYLOR:** Don Taylor for AECL, Director  
18 of DIF Operations. No, we don't have anything to add.  
19 Thank you.

20 **THE CHAIRPERSON:** Therefore, we will turn  
21 to questions.

22 Dr. Barnes, would you like to start the  
23 questions?

24 **MEMBER BARNES:** Maybe you could just  
25 clarify for me, what produced the reactor trip?

1                   **MR. TAYLOR:** I believe you are referring to  
2 the reactor trip in the CMD?

3                   **MEMBER BARNES:** That's right, 06-M43.

4                   **MR. TAYLOR:** At 7:02 a.m., June 30<sup>th</sup>?

5                   **MEMBER BARNES:** Correct.

6                   **MR. TAYLOR:** That was a loss of class 4  
7 power -- an area loss of Class 4.

8                   **MEMBER BARNES:** Oh, okay.

9                   And can you tell us what the situation at  
10 the present time is with the reactor?

11                   **MR. TAYLOR:** The MAPLE 1 reactor is  
12 currently in an extended outage to do field work to  
13 prepare for a five megawatt operation to do some tests for  
14 the positive power co-efficient.

15                   **MEMBER BARNES:** And when was that shut  
16 down; after the criticality was reached?

17                   **MR. TAYLOR:** I am trying to recall the  
18 exact date.

19                   We have been in a shutdown for about three  
20 weeks now, so it is a planned outage to complete a number  
21 of items that we wish to complete in shutdown.

22                   **MEMBER BARNES:** And how long would it be  
23 estimated that it remains in a shutdown situation?

24                   **MR. TAYLOR:** October 28<sup>th</sup> is our planned  
25 date of restart - the finish of the outage.



1                   **MEMBER BARNES:** And then to what power  
2 level does it resume?

3                   **MR. TAYLOR:** We would be resuming power at  
4 two kilowatts. We have applied for approval to go to a  
5 higher power level to do some test for PCR; so our  
6 intention is to restart and go to five megawatt operations  
7 for re-testing.

8                   **MEMBER BARNES:** Okay. Thank you.

9                   **THE CHAIRPERSON:** Dr. McDill?

10                  **MEMBER McDILL:** When you started up, how,  
11 -- I'm trying to keep it all in context here; how high a  
12 power level did you reach and did the PCR remain positive  
13 the entire time or did you manage to find some reversal of  
14 the trend?

15                  **MR. TAYLOR:** Don Taylor, again.

16                               We started as planned to a power slightly  
17 below two kilowatts and have operated the reactor  
18 relatively steadily at that power level with some planned  
19 shutdowns for maintenance outages.

20                               The PCR was not re-measured at that power  
21 level. We have applied for and agreed with CNSC Staff to  
22 operate the reactor 4 at two kilowatts for a couple of  
23 reasons. So we did -- the PCR, to try and answer your  
24 question, we have assumed that the PCR is the same value  
25 as last measured.

1                   **MEMBER McDILL:** And when is the next formal  
2 measurement of the power co-efficient?

3                   **MR. TAYLOR:** So we have applied for  
4 agreement to operate the reactor at a higher power level  
5 to do tests to re-measure the PCR, and that is planned in  
6 -- approval is planned in November and we would be  
7 starting in December for tests to do that.

8                   **MEMBER McDILL:** Could I have Staff's  
9 comments on this procedure, please?

10                  **MR. HOWDEN:** Yes, thank you. Barclay Howden  
11 speaking, for the record.

12                   From a regulatory process standpoint, we  
13 are reviewing the five megawatt safety case that has been  
14 submitted to us by AECL and as yet have not accepted it.  
15 So it is still under review.

16                   AECL has their schedule and we are aware of  
17 it and trying to work our resources with respect to it,  
18 but it has not been accepted and that's basically the  
19 whole point, that that reactor will not be able to go  
20 above 2 kilowatts until the safety case has been accepted.  
21 And the safety case is very specific for a measurement of  
22 the PCR; it's not to operate for operational purposes,  
23 it's for testing purposes so there is a safety case to go  
24 to five megawatts. And then for testing, there are  
25 further supplemental safety cases that all have to go

1 through a review by CNSC Staff.

2 **MEMBER McDILL:** Do you have a feeling for  
3 the time frame, Staff, for reviewing the safety case?

4 **MR. HOWDEN:** Barclay Howden speaking.

5 We are still -- we are on schedule for  
6 completing the review. It doesn't mean that the review  
7 will be positive, but we are on schedule and a lot of  
8 things are coming to the end of this week where all the  
9 comments are coming in.

10 I would like to note that there is a mid-  
11 term report coming up on this facility in December and we  
12 will be bringing the latest information to the Commission  
13 at that time on its operation.

14 **THE CHAIRPERSON:** Thank you. Mr. Graham?

15 **MEMBER GRAHAM:** Is the reactor fully loaded  
16 -- the bundles, it's fully loaded now, reloaded at this  
17 point and time?

18 **THE CHAIRPERSON:** That's a question for  
19 AECL.

20 **MEMBER GRAHAM:** For AECL, yes.

21 **MR. TAYLOR:** Thank you. Don Taylor for  
22 AECL.

23 Yes, the reactor core is fully loaded with  
24 fuel.

25 **MEMBER GRAHAM:** My question to CNSC Staff

1 is then, is there any concern of safety or safety to  
2 humans and so on, exposure that might occur with the  
3 reactor fully loaded and the fact that it won't be  
4 starting again until late, as of, I believe, late October?

5 **MR. HOWDEN:** Barclay Howden speaking. From  
6 a risk prospective, we consider that the risk is  
7 reasonable. It's in a safe shutdown state. We have been  
8 doing - we've done verification, and AECL has put in place  
9 all the procedures required to keep the reactor in a safe  
10 state, whether it's shut down or whether it's operating at  
11 two kilowatts. And at this moment in time we're satisfied  
12 with the safety of the reactor.

13 **THE CHAIRPERSON:** Further questions? Dr.  
14 Dosman?

15 **MEMBER DOSMAN:** Thank you.

16 I take it from the comments that have been  
17 made, that the loss of class 4 power was quite unrelated  
18 to the reactor; it just happened to occur at that time; am  
19 I correct?

20 **MR. TAYLOR:** Don Taylor, yes, that is  
21 correct.

22 **MEMBER DOSMAN:** Madam Chair, may I ask,  
23 does the facility not have a standby power that would  
24 automatically kick in to protect the reactor?

25 **MR. TAYLOR:** Don Taylor, yes, we do have

1 standby power at different levels of reliability and the  
2 reactor is designed to shutdown on a loss of class 4  
3 power.

4 **MEMBER DOSMAN:** So I take it that even  
5 though they have standby power, that it doesn't click in  
6 quickly enough to protect the reactor, is that right?

7 **MR. TAYLOR:** It's a safety feature of the  
8 reactor. If we lose class 4, then we are not operating.

9 **MEMBER DOSMAN:** Thank you.

10 **THE CHAIRPERSON:** Questions? One of the  
11 issues that is - you know, understanding we're coming back  
12 in December, I think that this would be a good opportunity  
13 in December for us to get a sense. This is a long-lasting  
14 project, so I think it would be appropriate, particularly  
15 since we have new members of the Commission, to ensure  
16 that that background document is comprehensive. I think  
17 -- and give a sense of the future planning as well as the  
18 issues which we're talking about today, which are fairly  
19 narrow in there and look at some of the issues going  
20 forward. I think the public is owed that as much as  
21 everyone else and the Commission.

22 I think that one of the things that we did  
23 have in the past, was a document that talked about areas  
24 where there was an agreement or disagreement in certain  
25 areas. And it was for the Commission, I think, an

1 opportunity to look at the communication,, if there's  
2 communication issues as well.

3 So if that in December, if we could also  
4 look what are the communications mechanisms that are used  
5 between the AECL and the Staff to ensure that there is  
6 adequate communications going by.

7 I don't -- I think my sense is that that  
8 isn't any issue, but I think that the mid-term report  
9 offers us an opportunity to ensure that's happening at the  
10 appropriate levels and, et cetera. So if we can have  
11 that, that would be appreciated.

12 So I think with no more questions, thank  
13 you very much.

14 We will now then move to the second issue  
15 with regards to Chalk River Laboratories, that there's two  
16 items which is 4.1.2 and 4.1.5 which is Molybdenum 99-  
17 Production Facility at Chalk River Laboratories and  
18 updates.

19 And, again, this is Mr. Howden's area. Mr.  
20 Howden, do you have an update on the materials that we  
21 have received?

22 **MR. HOWDEN:** Barclay Howden speaking, for  
23 the record.

24 Yes, I do, Madame Chair. CNSC Staff would  
25 like to make a short presentation. To a certain extent,

1 it's an update, to a certain extent it's to pull the two  
2 SDR's together for the Commission. So I will proceed.  
3 Thank you.

4 This is for the Molybdenum-99 Production  
5 Facility, but we are going to be focusing on a part of  
6 that facility called the "FISST" Tank which stores waste  
7 solution.

8 For the record, I'm Barclay Howden. With  
9 me today, are Mr. Miguel Santini, Director of the Chalk  
10 River Laboratories Compliance and Licensing Division and  
11 Mr. Etienne Langlois, who is Project Officer in the same  
12 division.

13 Mr. Langlois is responsible for the  
14 Molybdenum-99 Facility from a regulatory standpoint and I  
15 will now ask him to make the presentation.

16 **MR. LANGLOIS:** For the record, my name is  
17 Etienne Langlois, Project Officer in the Chalk River  
18 Laboratory Compliance and Licensing Division.

19 To provide a better understanding of the  
20 events reported here, a brief description of some of the  
21 relevant features of "FISST" seems in order at this point.

22 "FISST" is located at the AECL Chalk River  
23 Laboratories and there are three thermo couples used to  
24 measure the temperature inside the tank. The sheet of  
25 each thermo couple is 316-L stainless steel.

1           The thermo couples themselves are inserted  
2 into three thermo wells penetrating vertically inside  
3 "FISST". These thermo wells are tubes made of 304-L  
4 stainless steel, with a 304 end cap welded at the bottom.

5           Guide tubes passing through openings in the  
6 vault sealing slabs and funnels located at the top of the  
7 thermo wells, allow the insertion and removal of the  
8 thermo couples.

9           These openings are shielded by means of  
10 lead-filled shielding inserts and by floor plugs. The  
11 tank is basically at atmospheric pressure and no active  
12 waste emissions have been made for over three years.

13           In 2006, June 23<sup>rd</sup>, AECL reported that  
14 contamination was found that same day on a thermo couple  
15 as it was being removed from a stone well in "FISST".  
16 This thermo couple had been in place since the tank was  
17 put in service about 20 years ago and was being replaced  
18 as part of preventative maintenance.

19           No airborne contamination was detected when  
20 the thermo couple was being removed. The radio isotopes  
21 detected on the thermo couple were found to be consistent  
22 with a "FISST" solution. This indicates a breach of the  
23 pressure boundary of the thermo well.

24           It was also found that there was much more  
25 contamination at the tip of the thermo couple than higher



1 up, about 4.3 millirems per hour at tip against .1 to one  
2 millirem per hour, but 60 centimeters from the tip.

3 AECL's investigation into the possible  
4 causes for this failure found the thermo couple 316L  
5 stainless steel sheet is discolored along the whole length  
6 of the thermo well.

7 Examination has revealed that there is some  
8 corrosion, very shallow at the top and more pronounced at  
9 the tip, although it is there still only a few grains  
10 deep.

11 Also found on the terminal couple sheath  
12 was chloride which could come from road salt or floor  
13 cleaning solution making its way past the floor plug and  
14 into the thermo well.

15 Also found in the thermo couple sheet was  
16 chloride which could come from road salt or a floor-  
17 cleaning solution making it's way past the floor plug and  
18 into the thermo well. In addition, sand containing salt  
19 was found at the bottom of the plug hole. This would  
20 explain the corrosion found on the thermo couple's sheath  
21 and could have also caused corrosion of the 304-L  
22 stainless steel thermo well from the inside resulting in a  
23 leak.

24 Other possible explanations for the failure  
25 are a corrosion of the 304 stainless steel thermo well end

1 cap or of its well by the "FISST solution.

2 On August 3<sup>rd</sup>, AECL performed tests which  
3 allowed to -- which indicated that two of the three thermo  
4 couples were wet and the third one was dry. This last  
5 thermo couple was subsequently removed on August 29<sup>th</sup>. It  
6 was found to be dry and clean of contamination, although  
7 this terminal couple had been replaced in 2005 also as  
8 part of preventative maintenance. An endoscope was then  
9 introduced into the floor insert guide tube to inspect the  
10 funnel at the top of the thermo well. A piece of lead  
11 wool was found in this funnel. This was pushed down into  
12 the funnel on September 1 to provide foreign material  
13 exclusion which allowed the floor insert to be removed,  
14 which was performed on September 5<sup>th</sup>.

15 The endoscope was then used on September 7<sup>th</sup>  
16 to have a look at the top of the tank and at the underside  
17 of the vault sealing slabs.

18 The funnel was also unplugged and the  
19 endoscope used again to inspect the thermo well on  
20 September 8<sup>th</sup>, followed by an eddy-current inspection on  
21 September 21.

22 The endoscope was also used to inspect  
23 entrance funnels of the two other thermo wells. The last  
24 of the original thermo couples was removed on October 4<sup>th</sup>  
25 and found to be contaminated, blackened and wet as

1 expected from the results of the tests performed two  
2 months ago.

3 The liquid levels in the thermo well were  
4 measured and appear to be the same as the level in the  
5 tank.

6 AECL is continuing its investigation into  
7 the causes of this event. Among the measures taken by  
8 AECL to reduce risk, the radiation protection requirements  
9 for work in the building in which "FISST" is located, have  
10 been increased.

11 Also, the activities that could result in  
12 tank pressurization such as steam-mixing have been  
13 temporarily suspended since pressurization of the tank  
14 could force the liquid in the thermo well up and above the  
15 funnel, spilling it on the outside of the outer tank and  
16 from there to the vault floor.

17 The inspections done so far of the top of  
18 the tank and of the funnels of the wetted thermo wells  
19 have not shown any signs of such spills being created by a  
20 previous tank operation.

21 AECL is also working on proposals for  
22 changes that would allow tank sampling and heating to be  
23 resumed. CNSC Staff is following the investigation  
24 closely and will update the Commission through a follow-up  
25 SDR when the results of this investigation and with the

1 remedial actions taken by AECL to restore the tanks  
2 pressure boundary. This ends my presentation.

3 **MR. HOWDEN:** Madam Chair, that completes  
4 our presentation on this SDR and Staff is prepared to  
5 respond to questions.

6 **THE CHAIRPERSON:** Thank you. Well, welcome,  
7 Mr. McGee and welcome back before the Commission, the  
8 vice-president of AECL and I understand you may wish to  
9 speak to this matter, sir. The floor is yours.

10 **MR. MCGEE:** Good morning, Madam Chair and  
11 Commissioners.

12 We would just like to make a short  
13 presentation, a few opening remarks and a short  
14 presentation that shows some actual photographs that have  
15 been taken of the tank. The alignment between where we  
16 are with the "FISST" tank issue and Staff's is quite  
17 close, and so the only thing we can really do to  
18 supplement their presentation is make a few opening  
19 remarks and show you some pictures.

20 So as you mentioned, I'm the vice-present  
21 of AECL's Nuclear Laboratories and I'm accompanied today  
22 by some members of my management team. We are prepared to  
23 go on to answer questions, but we would like to just make  
24 a few opening remarks about this event and give you those  
25 pictures that we talked about.

1                   During previous appearances, I have assured  
2                   the Commission that we are very focused on improving our  
3                   performance and our response to events when they occur.  
4                   What I hope we are demonstrating here again to both Staff  
5                   and to the Commission, that we're taking that promise very  
6                   seriously and that our immediate response and our ongoing  
7                   response to this degraded equipment condition,  
8                   demonstrates that commitment to performance.

9                   We are taking this discovery very  
10                  seriously. Operational Safety is a key component of our  
11                  overall site safety and program, as well as our quest for  
12                  operational excellence.

13                  Our immediate compensatory actions quickly  
14                  and effectively placed the system in a safe state and we  
15                  performed an initial assessment of equipment degradation  
16                  mechanisms. Some of those assessments have been already  
17                  talked about.

18                  Our Staff reacted in a very professional  
19                  manner. At the time of discovery, two of our employees  
20                  received very minor contamination as a result of the  
21                  actual contamination on the thermo couple itself, but  
22                  otherwise there were no injuries and no significant  
23                  contamination.

24                  There was no release of radioactivity from  
25                  the tank other than the minor contamination on the thermo

1 couple and no one was injured. I would like to now  
2 provide just some of those pictures that we referred to.

3 This first slide shows a picture of the  
4 "FISST" tank during its installation. The "FISST" Tank,  
5 as mentioned, is a double-walled stainless steel tank  
6 that's used to store radioactive liquid waste from the  
7 process used to produced Molybdenum-99 for medical  
8 purposes.

9 It's located in a concrete vault and you  
10 can see the concrete walls around the tank during this  
11 installation process, and it's located inside our  
12 controlled area 2 or our inner-protected area. The vault  
13 is covered by a concrete floor and there are the three  
14 penetrations that were shown on the cross-sectional view  
15 shown by CNSC Staff.

16 Most of you will see it's highlighting the  
17 actual funnels that you saw on the cross-sectional  
18 picture. And as mentioned on June 23<sup>rd</sup>, we found  
19 contamination on the thermo couple as part of our routine  
20 preventative maintenance program. But, again, part of our  
21 improvements were putting preventative maintenance  
22 programs in place, not just in reactor facilities, but we  
23 are in the process of putting the PM programs in place  
24 across the site. And so this is one of the first  
25 opportunities to inspect the thermo couple since its

1 initial installation.

2 This next slide just basically shows an  
3 extended condition. It's a slide that's taken from some  
4 of our actual inspection equipment and you can see if your  
5 eyes are better than mine, very shallow inter-granular  
6 penetration there.

7 And, I guess the real key point is- and I  
8 needed coaching on this particular slide myself because  
9 it's almost indistinguishable, and I guess that's really  
10 the point we're trying to make. That on the thermo  
11 couple, itself which is in the same corrosive environment  
12 as the rest of the thermo well, the inter-granular  
13 corrosion is relatively minor.

14 This is just an overview of the floor, the  
15 vault floor, so those are the three penetrations. They're  
16 not really sealing devices, they're really just plugs  
17 essentially. And those plugs are removed and then there's  
18 some shielding material that allows you to access the  
19 thermo couples.

20 One of our challenges has been -- so we  
21 were able to access the thermo couple without taking some  
22 of the shielding material out. One of our challenges has  
23 been, as we've gone through the systematic approach to  
24 troubleshooting, is before we took the shielding material  
25 out, we needed to do fairly significant testing to ensure





1 we'll show you -- and forgive the fact that it's a bit  
2 disconcerting when you see the logos and the times upside  
3 down, that's because the orientation of the camera as it  
4 enters has to turn upside down and we're not capable  
5 enough with photo-shop to change it around unfortunately.

6 But what it does, is it illustrates how we  
7 have gone into the tank; so we've gone in through one  
8 thermo well penetration and transitioned across the tank  
9 to get access to view the various points of inspection  
10 that we need to get to. Above the tank. And this is just  
11 a close-up of the funnel, and you can see the tube that  
12 comes in from the top for the thermo couple to travel in.

13 This is a slide that shows with our  
14 inspection equipment, you are now looking down the thermo  
15 well itself without the thermo couple in place, you're  
16 looking at the bottom of the thermo well itself?

17 So our investigations continuing into the  
18 leakage and the extent of the condition, our approaches  
19 are addressing the degradation of the thermo well and  
20 looking at ways that we can ensure before we go from where  
21 we are in terms of the state of the facility and the state  
22 of the tank itself, ensuring that anything else that we do  
23 with this, we're taking a safe approach, both from a Staff  
24 point of view and the state of the tank itself.

25 We will commit to keeping CNSC Staff

1 informed; we have regular discussions with the Staff  
2 members and including where our thinking is going on how  
3 we go about trouble-shooting and so on, so we found that  
4 to be a very useful and rewarding exercise. And other  
5 than that, that concludes my comments for this morning and  
6 we would be glad to answer any questions.

7 **THE CHAIRPERSON:** Thank you. Dr. McDill,  
8 would you like to start questioning?

9 **MEMBER McDILL:** I have more than two, a  
10 series of questions which I will think will lead to the  
11 question I really want to ask, but to start off, I  
12 understand there's a thermo well and I understand there's  
13 a thermo couple; what is the purpose of the thermo couple  
14 and the thermo well?

15 **MR. MCGEE:** Brian McGee, for the record.  
16 The purpose of measuring the temperature  
17 essentially in the tank, and the reason that they're on  
18 sort of a gradient elevation, is to get a cross section of  
19 the tank temperature, and it's for part of our assurance  
20 of criticality ensuring -- not having a criticality safety  
21 issue.

22 **MEMBER MCGILL:** Thank you. That was what I  
23 had assumed, but I wanted to be certain.

24 And is there any -- there are no  
25 difficulties with the temperature; the temperature has

1           been what it's supposed to have been over a long period of  
2           time?

3                       **MR. McGEE:** Brian McGee, for the record.

4                       At this point we're not having any  
5           problems. The temperature has -- we're not heating the  
6           tank either as part of our compensatory actions -- you  
7           know, until as we're troubleshooting this given that we  
8           don't, you know -- until we understand the full extent and  
9           condition of this leakage, we didn't want to pressurize or  
10          heat the tank.

11                      So we are watching the temperature. We are  
12          still able to monitor the temperature and the temperature  
13          has come down slightly but it's decreasing by, in the  
14          neighborhood of .1 degrees "C" per day and we still have a  
15          significant margin and we have a safety analysis within  
16          the facility authorization; we still have a significant  
17          safety margin before we have a concern, but we are  
18          watching the temperature.

19                      **Dr. McDILL:** Thank you.

20                      Now, the thermo couples are 316-L and what  
21          is the age of the one that is most damaged? How long had  
22          this thermo couple been in use?

23                      **MR. McGEE:** Brian McGee, for the record.

24                      I'll ask Paul Tonner to come to the mic.  
25          and answer that. I believe it's 20 years but I'll let

1 Paul confirm that for us.

2 **MR. TONNER:** Paul Tonner, for the record.

3 Yes, the "FISST" tank was put in service in  
4 1986, 20 years.

5 **MEMBER McDILL:** And the thermo couples that  
6 we're seeing picture of was inserted at the same time?

7 **MR. MCGEE:** Brian McGee, for the record.  
8 That's correct.

9 **MEMBER McDILL:** The thermo couple that was  
10 removed in 2005, showed no damage?

11 **MR. MCGEE:** Brian McGee, for the record.  
12 I'll ask Paul Tonner to respond.

13 **MR. TONNER:** Paul Tonner, for the record.  
14 That's correct. there was no damage, no  
15 contamination, no issues at all in the removal in 1985 --  
16 in 2005.

17 **MEMBER McDILL:** So the - it's hard to keep  
18 this all straight. So the thermo couple that was removed  
19 in 2005, was it in the same thermo well as the one that  
20 was removed in -- no, it wouldn't have been, it was a  
21 different thermo well. So the one thermo well has  
22 presumably been penetrated?

23 **MR. MCGEE:** Brian McGee, for the record.

24 Through our testing and investigation we  
25 found the initial one through this -- through the

1       preventative maintenance program. Since then we've done  
2       two things: one is, we've heated the other thermo couples  
3       to measure their temperature response to heating and we've  
4       been able to confirm through that methodology that we have  
5       one other thermo well that's leaking and one other one  
6       that's dry. And so now we have gone in with the  
7       endoscope; and the other one that we know is wet and -- or  
8       damp, I guess is probably a better description and we are  
9       furthering our investigation. So we really, you know, two  
10      approaches.

11                   We have a thermo well that's dry that  
12      allows us to do more eddy current testing to test the --  
13      to verify the tank integrity and, you know, look for --  
14      confirm that -- it helps us confirm that the chlorides  
15      from outside the tank are the corrosion mechanism.

16                   So we have two thermo wells, other thermo  
17      wells, one wet, one dry.

18                   **MEMBER McDILL:** Is it possible that the  
19      304-L is sensitized, that it wasn't an "L", that was a  
20      304?

21                   **MR. McGEE:** Brian McGee, for the record.  
22                   I'll ask Mike Wright to answer that  
23      question.

24                   **MR. WRIGHT:** For the record, Mike Wright,  
25      AECL.

1                   Your question is about the thermo well  
2 material, the 304-L. And we have no reason to believe  
3 that the 304-L thermo well, or main thermo well is  
4 sensitized. But if you remember the presentation by Staff,  
5 the end cap material is 304 and that may be sensitized.

6                   **MEMBER McDILL:** At this point, you have no  
7 reason to be concerned that the tank itself, the 304-L  
8 tank has been breached in any way because of the double  
9 wall?

10                  **MR. MCGEE:** Brian McGee, for the record.

11                   I'll turn it to Mike Wright to just  
12 elaborate a bit on that, to give you a bit more detail,  
13 but, you know, we have confirmed that there's no  
14 indication of any leakage between the two tanks which is a  
15 significant indication for a significant signal.

16                   The other thing is, in terms of the tank  
17 breach, that's a good signal to us that we don't have any  
18 confinement integrity issue with the inner tank.

19                   The other thing is, and they don't show up  
20 very well, but under more detailed examination you can see  
21 that there's been no leakage of any fluid up and out the  
22 funnels, so they haven't breached coming up the thermo  
23 well penetration either.

24                   I'll just ask Mike if he wants to elaborate  
25 on any of that.

1                   **MR. WRIGHT:** Mike Wright, AECL, for the  
2 record.

3                   Yes, we have no concern over penetration of  
4 the main tank. Again, to elaborate, it is a double walled  
5 tank and we have very sensitive leak detection  
6 capabilities in the ante that's between the two tanks and  
7 it sees no trace of a leak.

8                   **MEMBER McDILL:** Do Staff want to comment on  
9 any of -- I realize there's a long series of questions  
10 there; do you want to add anything?

11                   **MR. HOWDEN:** Barclay Howden speaking.

12                   Clearly, this event is a concern to us.  
13 AECL is going down their path of investigation which is  
14 appropriate to find the root causes such that they come up  
15 with solutions, so we support that.

16                   Timing is a concern with us because we want  
17 to get this information as fast as possible. So the key  
18 right now is there's an ongoing investigation. Two, the  
19 second thing is, it is a double wall tank, so that's good,  
20 but we still remain concerned of the integrity of the tank  
21 until it's proven that there isn't an integrity problem,  
22 you know, whether the corrosion is coming from within the  
23 tank or outside the tank.

24                   The third one is that the tank is an  
25 operating tank, so, you know, they've suspended some

1 operations with our concurrence, but the thing is, FISST  
2 sampling will have to go on and other things in monitoring  
3 and so our concerns are twofold: the integrity of the  
4 tank and the ongoing operation of the tank. But at this  
5 moment we're satisfied that things can progress the way  
6 they're going with the investigation given the assurances  
7 and some of the information they have.

8 Nonetheless, it is a concern and our  
9 intention is to come back to the Commission once the  
10 investigation is completed, to report to you the path  
11 forward.

12 **THE CHAIRPERSON:** Thank you. Further  
13 questions? Mr. Harvey?

14 **MEMBER HARVEY:** Yes, Madame la Présidente.

15 This thermo couple has been there since 20  
16 years and is this to say that it hasn't been inspected  
17 since the thermo couple has been there and we thought had  
18 been taken out since that time.

19 **MR. MCGEE:** Brian McGee, for the record.

20 I'll ask Paul Tonner to, you know, answer  
21 on any previous inspection programs, but we are increasing  
22 our preventative maintenance program across the site on  
23 the reactor facilities and on other facilities and so the  
24 frequency of inspection and putting in place a periodic  
25 inspection program and a preventative maintenance



1 inspection program is part of one of our ongoing  
2 improvements as well.

3 And I'll ask Paul if he wants to elaborate  
4 on the last time we looked at the thermo couple.

5 **MR. TONNER:** Paul Tonner, for the record.

6 Yes, that's correct. The last time we  
7 changed a thermo couple was in 2005, the first thermo  
8 couple. The thermo couples themselves were operating  
9 perfectly. There were no indications of any degradation  
10 to signals, but we implemented this change as part of a  
11 preventative maintenance improvement program.

12 **MEMBER HARVEY:** So the problem did occur  
13 since that time, since 2005?

14 **MR. MCGEE:** Brian McGee, for the record.  
15 I'll ask Paul Tonner to reply.

16 **MR. TONNER:** In 2005, when we looked in the  
17 first thermo couple, there was no -- any indication of a  
18 problem, no contamination, no discoloration of a thermo  
19 couple that we removed. Yes, and TE-1 is still clean. We  
20 recently looked at it again.

21 TE-2 and TE-3, which are the ones that are  
22 indicating wet, there is degradation we believe at the  
23 bottom of those thermo wells. And we do not know when  
24 that degradation occurred.

25 **MEMBER HARVEY:** They haven't been inspected

1 in 2005 then?

2 **MR. McGEE:** Brian McGee.

3 **MEMBER HARVEY:** They have been or not?

4 **MR. McGEE:** Brian McGee, for the record.  
5 I'll ask Paul Tonner to reply.

6 **MR. TONNER:** That is correct. We only did  
7 the one in 2005, and then we did the second one this year.

8 **MEMBER HARVEY:** Okay. So that is the  
9 reason why you don't know when it started?

10 **MR. McGEE:** Brian McGee, for the record.

11 So to summarize those thermo couples, the  
12 thermo wells that we have the degradation have not been  
13 previously inspected in the 20 year history.

14 **MEMBER HARVEY:** Thank you.

15 **THE CHAIRPERSON:** Further questions? Mr.  
16 Graham?

17 **MEMBER GRAHAM:** Just a question for  
18 clarification.

19 You mentioned the temperature in the tank  
20 was decreasing, I believe, very, very slowly, and you're  
21 not heating. Is there any possibility of reaction that  
22 the tank could -- the material could heat on itself and  
23 the temperature could start going up? I guess, is there  
24 any cause for concern that the temperature will continue  
25 to drop -- that it may start to rise, not a concern that

1 it may drop, but it may start to rise on its own?

2 **MR. McGEE:** Brian McGee, for the record.

3 We have no concern that the tank  
4 temperature will start to increase. Right now we, as I've  
5 mentioned before, we have a significant margin to the  
6 point where we would have any concern from a criticality  
7 safety point of view on the continuing decrease of the  
8 temperature, but we see no phenomenon or no mechanism that  
9 would cause the tank temperature to increase.

10 There are some, you know, to highlight Mr.  
11 Howden's concern, we are concerned about -- we've gone  
12 through a process where we've satisfied ourselves that  
13 we're in a safe state. We've taken conservation actions  
14 to ensure we remain in that safe state, but there is no  
15 "do nothing" option here either and as Mr. Howden, you  
16 know, explained, we do need to keep progressing this  
17 investigation.

18 We're as concerned as CNSC Staff are. We  
19 do need to keep progressing this investigation, but, you  
20 know, in terms of the timeline, some part of that is my  
21 doing in that I've given my Staff clear direction, do it  
22 in a conservative manner, do it with well thought out  
23 plans. There's a lot of industry experience where without  
24 having thought out the full scope of the hazards, people  
25 have gotten into dose exposure, radiation exposure

1 situations, and I would rather not be sitting here  
2 explaining to you why we got into that situation.

3 So we're on high ground now. We're  
4 satisfied we have a substantial margin but we do need to  
5 keep progressing this investigation and we will, and we'll  
6 do it in a safe manner conservatively and in a way that  
7 ensures we protect the facility and we protect our  
8 workers.

9 **MEMBER GRAHAM:** Well, that was the base of  
10 my question. Is there - and I guess you have assured us,  
11 that the gun is not to your head as far as getting things  
12 done quickly, you can take your time and do it properly?

13 **MR. MCGEE:** Brian McGee, for the record.

14 Take our time within reason, you know, I  
15 want to be progressing this in a positive manner. I want  
16 - and you know I think you will see us continue -- you  
17 know, some of the early stages of this is the discovery  
18 phase where you're understanding what are the radiation  
19 hazards; what are some of the mechanisms; what are some of  
20 the tooling that you need? We have a mock-up built, so I  
21 believe that my expectation is that we will now continue  
22 to progress this and we'll start to come up with answers  
23 in a faster rate, but we will do it in a safe manner too.  
24 And if we come up against something unexpected, we'll stop  
25 long enough to understand that.

1                   **THE CHAIRPERSON:** Dr. Dosman?

2                   **MEMBER DOSMAN:** Thank you, Madam Chair.

3 I'm trying to fully understand. Why was the thermo couple  
4 perhaps, it's been stated but I'm not quite clear. Why  
5 was the thermo couple replaced last year? Was it  
6 malfunctioning and was it wet or corroded?

7                   **MR. MCGEE:** Brian McGee, for the record.

8 I'll ask Paul Tonner to answer the full  
9 question but when we took it out last year, it was not  
10 wet. I believe it was failed, and, Paul, could you  
11 elaborate?

12                  **MR. TONNER:** Paul Tonner for the record.

13 No, the thermo couple itself was operating perfectly.  
14 There was no issue with it. It was just prudent to change  
15 it as part of a preventative maintenance program.

16                  **MEMBER DOSMAN:** But I take it that when it  
17 was changed, the others were not checked; is that right?

18                  **MR. MCGEE:** Brian McGee, for the record.

19 That's correct.

20                  **MEMBER DOSMAN:** And could you tell me,  
21 please, what's the worst case scenario here?

22                  **MR. MCGEE:** The worst case -- Brian McGee,  
23 for the record.

24 The worst case scenario would -- right now  
25 I would say we've talked about some of these, you know,

1 and it depends, there's degrees of a worst case scenario,  
2 I guess.

3 The worst case credible scenario right now  
4 would be that the thermo wells themselves, we don't  
5 believe there's any reason where at this point based on  
6 some, you know, the research that we've done, the  
7 investigations we've done, we have some of the best people  
8 in the field working on this; we don't believe that  
9 there's an integrity issue with the inner tank.

10 We believe the worst case scenario -- the  
11 worse case credible scenario right now is that we will  
12 have to seal those thermo wells at some point, maybe not  
13 the full extent of the thermo well, but seal them at some  
14 point in order to heat and pressurize the tank.

15 There is an option we're also exploring to  
16 make it basically a confinement and de-rate the tank, but  
17 we need to understand more before we do that.

18 Right now, just to give you a sense, the  
19 tank was originally designed for 50 PSI. All of our  
20 analysis is based on its integrity as a pressure boundary  
21 at 50 PSI gauge. We have not operated it at 50; it's been  
22 limited to 15 PSI gauge for many years now.

23 So right now we're working on an integrity  
24 case around 50 knowing that we will only ever operate it  
25 at 15, but the worst case would be, we'd go to a vented

1 confinement and de-rate the tank to atmospheric tank.

2 **MEMBER DOSMAN:** Madam Chair, if I might.  
3 Is the worst case scenario not that a temperature rise in  
4 the tank could go undetected if there were thermo couple  
5 failures and this could result in failure; is that the  
6 worst case scenario?

7 **MR. McGEE:** Brian McGee, for the record.  
8 We are still monitoring the temperature, so  
9 we still do have the ability to monitor the vault  
10 temperature as well as the tank temperature to some  
11 extent. Right now, again, we don't see that as a risk.

12 **THE CHAIRPERSON:** Dr. Barnes?

13 **MEMBER BARNES:** Why is it prudent to  
14 replace one of the thermo couples in 2005 and not the  
15 others?

16 **MR. McGEE:** Brian McGee for the record.  
17 I'll ask Paul Tonner to reply.

18 **MR. TONNER:** Paul Tonner for the record.

19 It takes a day's work to replace each  
20 thermo couple. The thermo couples are redundant in a  
21 sense that three independent measurements of almost the  
22 same -- very close locations.

23 So it's, from a preventative maintenance  
24 point of view, it makes sense to change one -- say one per  
25 year and that's what had planned to do rather than

1 changing them all at once.

2 **MEMBER BARNES:** But they haven't been  
3 changed for 20 years, is that right?

4 **MR. MCGEE:** Brian McGee, for the record.  
5 That's correct. It's not uncommon to  
6 stagger a preventative maintenance program like that. The  
7 other advantage of that too, is that if you, you know,  
8 when you replace one or test one if there's something, you  
9 have other devices that haven't been affected by the  
10 maintenance, so if there's something, a weakness in your  
11 maintenance or a weakness in the component that you've  
12 used or installed, you have some depth on by not doing  
13 them all at the same time. So it's very common for  
14 maintenance programs to have a staggered approach like  
15 that or there's redundancy.

16 **MEMBER BARNES:** And from a chemical  
17 viewpoint, does that give you any clues as to the duration  
18 of this corrosion, how long it has been operating?

19 **THE CHAIRPERSON:** From AECL's point of  
20 view.

21 **MEMBER BARNES:** AECL to answer.

22 **MR. MCGEE:** Brian McGee, for the record.

23 The changeout in 2005 as Mr. Tonner  
24 mentioned, there was no evidence of leakage on that at  
25 that time and there was no evidence of leakage on that one



1 now. That's the good thermo well right now. And, so I  
2 don't think it tells us very much honestly.

3 **MEMBER BARNES:** That was on the good one;  
4 what about the corroded ones?

5 **MR. McGEE:** Brian McGee, for the record.

6 So if I understand your question, or maybe  
7 if I can explain it again and see if it answers your  
8 question, in 2005 the thermo couple that we tested was in  
9 a thermo well that was dry then and is dry now.

10 **MEMBER BARNES:** Right.

11 **MR. McGEE:** We didn't go and look at the  
12 other ones.

13 **MEMBER BARNES:** No, but in having looked at  
14 them now, you see that it's corroded?

15 **MR. McGEE:** Right.

16 **MEMBER BARNES:** Right? That's what you  
17 have been showing us?

18 **MR. McGEE:** That's right. So the thermo  
19 couples that we ---

20 **MEMBER BARNES:** On the basis of the extent  
21 of the corrosion, does a -- can a chemist tell you how  
22 long that corrosion process has been operating?

23 **MR. McGEE:** Brian McGee, for the record.

24 No, there is no indication that that's  
25 true. That doesn't give us a correlation to a corrosion

1 rate.

2 **MEMBER BARNES:** Okay. But to come back to  
3 Dr. Dosman's question. Surely one of the worst case  
4 scenarios is that the inner tank has been breached?

5 **MR. MCGEE:** Brian McGee, for the record.

6 That would be -- I'm not sure in total  
7 scope of worst case scenarios, I'm not sure that would be  
8 the worst. It would be worse than the one that we're  
9 considering right now, but, again, we have no evidence of  
10 leakage between the tanks. We do have a leak monitoring  
11 capability there, no evidence of leakage between the  
12 tanks. All the evidence to this point, and it's quite  
13 credible evidence being examined by some of the top people  
14 in this field, indicate that it's -- the corrosion is  
15 sourced from outside the tank, it's the chlorides which  
16 shouldn't -- you know, it shouldn't have any impact on the  
17 overall integrity of the tank. And so right now there's  
18 no reason for us to believe that's a credible scenario.

19 **MEMBER BARNES:** So in the area of the  
20 welded seal of the inner tank, there's no danger of  
21 corrosion at that point?

22 **MR. MCGEE:** Brian McGee for the record.

23 The concern that we had and the reason that  
24 we locked out heating and pressurization of the tank was  
25 that until we understand more about the leak itself, under

1 pressure our concern was that we could push "FISST"  
2 solution up the thermo well and out the tank that way. So  
3 we've taken compensatory actions to preclude that  
4 possibility.

5 **MEMBER BARNES:** If you had to replace the  
6 material in the tank, do you have an alternative location  
7 for it?

8 **MR. McGEE:** Brian McGee, for the record.

9 This tank is destined to be decommissioned  
10 and that will be done through the liquid waste transfer  
11 and storage system that right now is in the early stages  
12 of design and construction.

13 Right now the plan is that in around 2012  
14 the tank would be completely emptied and decommissioned at  
15 that time. One possibility, if we get into consequences  
16 that are more severe than we believe that we're into right  
17 now, one, we would look at accelerating that but we'd have  
18 to look at it in the total integrated project because the  
19 tanks on the site that are destined to be emptied and  
20 decommissioned we're selected on a priority basis.

21 So, before we would swing over to this  
22 tank, we'd have to understand that, you know, what we're  
23 doing to the other priority set, but we would look at  
24 that. In fact we're considering those implications right  
25 now.

1                   **MEMBER BARNES:** Thank you.

2                   **THE CHAIRPERSON:** A question for Staff.

3                   These tanks are under safeguards; are there  
4 any safeguard issues with regards to this problem?

5                   **MR. HOWDEN:** Barclay Howden speaking.

6                   No. They are under safeguards and there  
7 are no issues involved with them and we have our safeguard  
8 specialist who can speak to it.

9                   **MS. MAXWELL:** Rowena Maxwell, Safeguard  
10                   ISD.

11                   No, there no safeguard concerns with this  
12                   facility.

13                   **THE CHAIRPERSON:** Thank you.

14                   Any further questions? Well, obviously  
15 from the nature of the questions you can see that the  
16 commission wishes to follow this matter very closely and  
17 we look forward to updates as appropriate from the Staff  
18 or from AECL, so thank you very much for coming today.

19                   We will now move to 4.1.3. I'll get the  
20 Staff to change. C'est une -- qui concerne Gentilly 2 à  
21 Hydro Québec . C'est numéro 4-1-3 à leur centrale à  
22 Gentilly 2 à Bécancour. L'item au sujet du, comme j'ai  
23 dit, à Bécancour. Monsieur Grant, avez-vous de  
24 l'information additonnelle pour ajouter à ce sujet ?

25                   **MR. GRANT:** Bonjour, madame la Présidente

1 et membres de la Commission. Je suis Ian Grant, le  
2 directeur général de la direction de centrale de puissance  
3 et avec moi, Monsieur Ken Lafrenière, le directeur de la  
4 direction de réglementation de Gentilly. Non, nous n'avons  
5 pas de renseignements supplémentaires à ajouter au rapport  
6 mais nous sommes disponibles à répondre aux questions de  
7 la Commission, s'il y en a.

8 **THE CHAIRPERSON:** Merci, J'ai vu qu'il y un  
9 représentant d'Hydro Québec avec nous. Est-ce que vous  
10 avez des commentaires additionnels concernant la sujet qui  
11 est devant nous?

12 **MR. DESBIENS:** Bonjour madame la présidente  
13 et membres de la commission, Patrice Desbiens. Chef de  
14 sûreté nucléaire à la centrale de Gentilly 2 pour Hydro  
15 Québec. J'ai rien de plus à ajouter mais ça me ferait  
16 plaisir de répondre à vos questions, si vous en avez.

17 **THE CHAIRPERSON:** Voilà, Merci. Est-ce  
18 qu'il y des questions. Mr. Harvey, des questions?

19 **MEMBER HARVEY:** Merci madame la présidente,  
20 J'aurais une question à savoir si ce type d'événement est  
21 arrivé à plusieurs reprises ou si c'était quelques chose  
22 de nouveau pour vous.

23 **MR. DESBIENS :** Patrice Desbiens, C'était  
24 la toute première fois que cet évènement est arrivé.  
25 L'essai qui était en cour, au moment ou l'incident s'est

1           déclaré, est fait à chaque année. C'est la première fois  
2           que ça a généré un incident comme celui là.

3                        La raison, c'est un vis de procédure qui était  
4           présent, qui était présent à chaque fois qu'on a fait le  
5           test dans le passé mais on avait ajouter des étapes  
6           supplémentaires dans la procédure, cette fois ci, pour  
7           faire de la double vérification et cette double  
8           vérification là à eu comme effet de retarder la durée de  
9           l'essai et c'est ces délais additionnels là qui ont fait,  
10          finalement, qui ont provoqués la perte d'air qu'on a eu et  
11          qu'on avait jamais eu autrefois parce que les temps  
12          d'interventions faisaient qu'on atteignait pas le point de  
13          non retour qu'on a franchis cette fois ci.

14                       **MEMBER HARVEY :** Merci.

15                       **THE CHAIRPERSON:** D'autres questions? On  
16          parle des Commissaires. Any other questions? No? Dr.  
17          Dosman?

18                       **MEMBER DOSMAN:** Madam Chair, I wonder if I  
19          might ask you to go back, if there was any risk,  
20          radiological risk to any of the workers on the site?

21                       **MR. DESBIENS:** Patrice Desbiens, Il y a eu  
22          aucun rejet radiologique d'aucune nature pendant cet  
23          incident là.

24                       **THE CHAIRPERSON:** Merci, D'autres  
25          questions? Merci beaucoup.

1                   Mr. Grant has to stay. The next item on  
2 the agenda is CMD 06-M-44 and 06-M-50, status reports on  
3 power reactors.

4                   Mr. Grant, do you have anything that you'd  
5 like to add with regards to these updates?

6                   **06-M44 /06-M50**

7                   **Status Report on Power Reactors**

8                   **MR. GRANT:** No, Madam President. Nothing  
9 further to add to the status report in 06-M-44.

10                  **THE CHAIRPERSON:** Are there any questions  
11 from Commission members with regards to the status report?  
12 Seeing no questions, thank you very much, Mr. Grant.

13                  The next item on the agenda is the status  
14 report on site conditions and progress on the Licensing  
15 Process of Waste Management Areas owned by Crown, Historic  
16 Contaminated Lands, and the Deloro Mine Site.

17                  This is CMD 06-M-52 and as I noted, this is  
18 a Status Report and we will invite the Staff to come to  
19 the front. No rest at all, Mr. Howden.

20                  **MR. HOWDEN:** Good morning, Madam Chair,  
21 Members of the Commission. For the record, my name is  
22 Barclay Howden. I'm Director General of the Directorate  
23 of Nuclear Cycle and Facilities Regulation. With me  
24 today, is Mr. Robert Barker, Acting Director of the Waste  
25 and Decommissioning Division and Julie Mecke and Ron

1 Stenson, Project Officers within this Division for these  
2 sites and activities. I will now pass the presentation on  
3 to Mr. Stenson.

4 **MR. STENSON:** Thank you. Good morning,  
5 Madam President and Members of the Commission. For the  
6 record, my name is Ron Stenson and I am the Project  
7 Officer in the Wastes and Decommissioning Division.

8 Exemptions for the Deloro Mine Site and a  
9 number of small contaminated sites across Canada,  
10 including those listed here, were first granted by the  
11 Commission in December of 2001. These exemptions were  
12 requested by Staff to allow time to complete the licencing  
13 process for sites identified requiring a licence and to  
14 allow Staff to continue to the lands evaluation process  
15 for sites where insufficient information existed to  
16 determine regulatory requirements.

17 The Commission in its decision directed  
18 CNSC Staff to report annually on the status of the  
19 exemptions to ensure that both the Commission and the  
20 public are kept informed of site conditions and the  
21 licencing progress.

22 In this CMD Staff are providing in the  
23 Commission with its fifth annual update. Staff are also  
24 requesting that the Commission make decisions on a ten-  
25 year exemption from the requirement for licencing the



1 possession, management and storage of nuclear substances  
2 at the identified contaminated sites under institutional  
3 controls.

4 The Deloro Mine Site, the Ontario Ministry  
5 of the Environment continues to monitor and maintain the  
6 site. CNSC Staff inspects the site annually. CNSC Staff  
7 concludes that the site will not pose an unreasonable risk  
8 to the environment or to the health and safety of persons  
9 within the current exemption period. Due to delays in the  
10 environmental assessment process there may be insufficient  
11 time to complete the CNSC licencing process before the  
12 expiration of the current exemption.

13 If this becomes the case, CNSC Staff will  
14 return to the Commission in the fall of 2007 to justify  
15 and request an extension to that exemption. In the  
16 interim, CNSC Staff is working with the Ontario Ministry  
17 of the Environment Staff on the environmental assessment  
18 and the subsequent licencing review process.

19 "Contaminated lands under institutional  
20 controls": as listed here, the historic radiological  
21 contaminated lands under institutional controls are  
22 currently under a set of exemptions which will expire on  
23 December 31<sup>st</sup>, 2006. The relative location of the  
24 contaminated land sites are presented here on this map.

25 So since 2001 when the original exemption

1 was granted, CNSC Staff have monitored safety at the  
2 sites. CNSC Staff have established good lines of  
3 communication with government agencies, land owners,  
4 aboriginal communities and the general public.

5 The sites have remained well managed under  
6 the institutional controls described in the following  
7 slides. Since 2001, the low level radioactive waste  
8 management office's ongoing commitment to respond to  
9 requests for technical assistance, has resulted in safe  
10 clean-ups of properties in Port Hope, Toronto, Fort  
11 McMurray and the Northwest Territories.

12 National Resources Canada is involved in  
13 ongoing efforts to established long-term programs to  
14 manage the sites in Port Hope, Toronto and the Northwest  
15 Territories, and CNSC Staff are working with the low level  
16 office to ensure that all stakeholders and First Nations  
17 Bands are aware of the sites and there's been a  
18 willingness to cooperate which has been demonstrated by  
19 these groups in ongoing efforts to maintain safety without  
20 causing an undue burden to owners or the general public.

21 CNSC Staff will continue to monitor safety  
22 at these sites through periodic site visits and CNSC Staff  
23 will continue to work with all interested parties through  
24 consultation and other outreach activities

25 "The Port Hope unlicensed sites": Existing

1 low level radio active waste management office programs  
2 ensure safety at these sites including the construction  
3 monitoring program, the property monitoring program and  
4 the environmental monitoring program.

5 Although many of these mildly contaminated  
6 sites have never been remediated, it is intended that they  
7 will be remediated under the proposed Port Hope area  
8 initiative. CNSC Staff is kept informed of interim  
9 activities taking place at unlicensed sites directly by  
10 the low level of radioactive waste management office and  
11 through reports associated with the low level offices  
12 licences "WNSL W2-2202" and "WNSL W1-182."

13 CNSC Staff continues to monitor these sites  
14 through periodic inspections and the last such inspection  
15 took place September 15<sup>th</sup>, 2006. No issues of concerns  
16 were identified.

17 "The Toronto area sites": A second group  
18 of sites result from historic radium industry practices in  
19 the Greater Toronto Area.

20 Some of these sites are privately-owned  
21 buildings with fixed contamination and were remediated to  
22 the standards at the time in the 1970's.

23 CNSC Staff is in regular contact with the  
24 owners and managers of these sites and has provided  
25 information to them on their obligations under Nuclear

1        **Safety and Control Act**. The land owners have agreed to  
2        contact the CNSC and the low level office in the event  
3        that they wish to renovate, excavate or construct in the  
4        areas that have been identified to them as mildly  
5        contaminated.

6                    The low level office has agreed to provide  
7        technical assistance and to take possession of  
8        contaminated materials on a site specific basis with the  
9        burden of cost being determined by the owners and the low  
10       level office at the time.

11                   The low level office has been involved in  
12       six remedial exercises under the existing institutional  
13       control arrangements since 2001.

14                   CNSC Staff has visited many of the Toronto  
15       area unlicensed sites to visually assess their condition  
16       and to periodically take spot radiation readings. The  
17       most recent site visits took place during the week of July  
18       17<sup>th</sup>, 2006. No issues of concern were identified.

19                   CNSC Staff have also been involved and  
20       consulted on an environment assessment affecting one of  
21       the sites and discussions on future planning initiatives  
22       which may require our regulatory involvements.

23                   "The northern transportation route sites":  
24       The northern transportation route sites include primarily  
25       public-owned sites originally exempted under three

1 separate exemptions for the Fort Fitzgerald area, the Fort  
2 Smith area and the Sahtu Region sites.

3 The sites with contamination exceeding the  
4 Old scheduled quantity per kilogram were remediated by the  
5 low level office in the 1990's to the standard of the  
6 time.

7 Institutional controls include the  
8 identification of the sites and data bases used by  
9 permitting boards and agencies in the Northwest  
10 Territories and Alberta. This has triggered six requests  
11 for input on proposed land uses at these sites: three  
12 from the Sahtu Land and Water Board and three from the  
13 Northwest Territories Environment and Natural Resources.

14 CNSC Staff also maintains contact with  
15 local stakeholders and aboriginal nations. Since 2001, a  
16 number of sites have been remediated under WNSL W-2, 2002  
17 and others have been further characterized by the CNSC and  
18 the low level radioactive waste management office.

19 This detail characterization led to the  
20 removal of a number of sites from the list of those  
21 requiring CNSC regulatory oversight. CNSC Staff  
22 periodically inspect the sites to assess safety, maintain  
23 contact with local institutional control partners and to  
24 meet our obligations to consult with aboriginal nations.  
25 Our next inspections are planned for 2007.

1                   Recently the low level office has been  
2                   directed by NRCan to work with the territorial and local  
3                   governments to develop a plan to clean up the existing  
4                   mildly contaminated northern transportation route site.

5                   CNSC Staff is being kept informed on the  
6                   progress of these discussions and has provided guidance on  
7                   the possible regulatory requirements associated with  
8                   potential options being discussed.

9                   To conclude, Staff recommends that the  
10                  Commission accepts Staff's determination that there is no  
11                  requirement for an environmental assessment pursuant to  
12                  the Canadian Environmental Assessment Act or to the  
13                  MacKenzie Valley Resource Management Act to issue the  
14                  exemption from CNSC licencing for the possession,  
15                  management and storage of nuclear substances at the  
16                  historic contaminated land sites listed in Appendix 2 of  
17                  CMD 06-M-52.

18                  **06-M52**

19                  **Status report on site conditions and**  
20                  **progress on the Licensing process**  
21                  **of waste management areas owned**  
22                  **by the Crown, Historic Contaminated Lands,**  
23                  **and the Deloro Mine site.**

24                  And CNSC Staff recommends that the  
25                  Commission issue an exemption under Section 7 of the

1        **Nuclear Safety Control Act** from licencing for the  
2        unlicensed sites listed in Appendix 2 of the CMD for a  
3        period of ten additional years ending 2016, December 31

4                    CNSC Staff is suggesting that the schedule  
5        for the submission of Staff reports to the Commission on  
6        the status of the unlicensed sites be reduced from  
7        annually to a three-year cycle, the first of which will be  
8        in 2009.

9                    In the interim, if any significant issues  
10       arise, CNSC Staff will report to the Commission with a  
11       significant development report. Thank you very much.

12                   **MR. HOWDEN:** Madam President, this  
13       concludes Staff's presentation. Staff is available to  
14       respond to questions.

15                   We'd like to note that Mr. Bernard  
16       Gerestein from the low level radioactive waste management  
17       office is present and is prepared to answer any question  
18       that the Commission may have of him as it relates to the  
19       issues in this CMD and the mandate of his organization.

20                   **THE CHAIRPERSON:** Thank you very much.  
21       Would we start with Mr. Graham, then?

22                   **MEMBER GRAHAM:** Just a question with regard  
23       to the Greater Toronto Area sites; how many are there?

24                   **MR. HOWDEN:** Barclay Howden speaking.  
25       I'm going to ask Julie Mecke, the

1 responsible project officer, to respond.

2 **MS. MECKE:** Julie Mecke, for the record.

3 There are approximately eight sites in the  
4 Greater Toronto Area.

5 **MEMBER GRAHAM:** So when you mentioned the  
6 overheads on July of 2006, there was an inspection made  
7 and there were no issues; the inspections were of all the  
8 sites that Ms. Mecke refers to?

9 **MS. MECKE:** Yes, that is correct.

10 **MEMBER GRAHAM:** Over the terms -- and I  
11 guess I don't how far back we go, but say in the last five  
12 years, has there been issues with regard to any of the  
13 sites, not necessarily the Toronto, but of any of the  
14 sites that have come forward that may be a concern to  
15 health and safety of people?

16 **MR. STENSON:** Ron Stenson.

17 Over the course of the five-year exemption  
18 there have been a few times when we've been approached by  
19 members of the public who want to do work on their  
20 property.

21 We've provided them with technical guidance  
22 on how to do that properly and what the requirements would  
23 be. The low level office has cooperated in providing also  
24 technical assistance and taking possession of materials.

25 We haven't had any issues where someone has



1           unwittingly gone ahead and done work or caused themselves  
2           any undue harm or risk.

3                       **THE CHAIRPERSON:** I'm just trying to  
4           understand the exemption request; does the exemption  
5           request -- the mountain consolidation; you're asking that  
6           you wouldn't come back until 2016 on that one as well?

7                       **MR. STENSON:** No. The exemption request  
8           does not include any of the consolidated mountains.

9                       **THE CHAIRPERSON:** Just to clarify. Mr.  
10          Harvey?

11                      **MEMBER HARVEY:** Merci, Madame la  
12          Presidente.

13                      When you say you inspect a site; what is  
14          the nature of the inspection?

15                      **MR. STENSON:** Ron Stenson.

16                      Depending on the type of site, we visit the  
17          site. We usually have instruments with us and we'll take  
18          general radiation fields. We've -- if it's an indoor site  
19          like some of the buildings in the Toronto area, we will  
20          take swipes periodically to see if there's loose  
21          contamination and we have all of those analyzed.

22                      There's no water involved in most of the  
23          sites, however, we have in the northern transportation  
24          route sites, taken water samples of water sources adjacent  
25          to the sites just to verify that there's no overland flow.

1 And those results are reported to the owner as well as  
2 shared with the low level office and often with the local  
3 community, depending on the level of interest.

4 For instance, again, in the northern  
5 transportation route sites, some of the sites are part of  
6 aboriginal land claims and so there's a bit more  
7 heightened awareness when we come in and do some work in  
8 the area. So we do share the results and to date, we've  
9 had no indication that the sites are impacting on the  
10 local environment.

11 **MEMBER HARVEY:** Thank you.

12 **THE CHAIRPERSON:** Dr. Dosman, do you have a  
13 question?

14 **MEMBER DOSMAN:** Thank you, Madam Chair.

15 May I ask, is the inventory listed on  
16 Appendix 1 and the inventory listed on Appendix 2, do  
17 these sites represent all of the remaining sites in Canada  
18 or are there yet others that are not included in these  
19 lists?

20 **MR. STENSON:** Yes, Ron Stenson.

21 The difference -- first, just to clarify,  
22 the Appendix 1 list is the original list which includes  
23 all of the sites that we didn't have sufficient  
24 information to make a regulatory determination on, so, in  
25 fact, there's probably more sites listed on Appendix 1

1 than on Appendix 2. But these, both Appendix 1 and  
2 Appendix 2, represent all of the sites that we know about  
3 and we're very confident that we have a good handle on the  
4 information.

5 On the other hand, we can't guarantee that  
6 there wouldn't be some other site that maybe identified,  
7 but, to date, this site, this list represents the sites  
8 that have been identified that we know about.

9 **MEMBER DOSMAN:** Madam Chair, so, do I -- is  
10 there any active remediation going on in any of the sites  
11 or are we simply taking the actions outlined?

12 **MR. STENSON:** Ron Stenson.

13 There's - today there's no active  
14 remediation going on, on the sites, however, as the  
15 owners, whether that be publicly owned or privately owned,  
16 wish to move forward with activity on their sites, then  
17 they contact us at the low level office and we give them  
18 advice on how to do that. And that's taken place about  
19 ten times over the last five years where there's been  
20 proper approaches taken and proper clean-ups done on some  
21 sites.

22 In the future, there may be plans along --  
23 in particular the northern transportation route to do a  
24 concerted effort on cleaning up those sites. And with the  
25 approval of the Port Hope area initiative, which is a

1 separate licencing initiative, many of the sites that are  
2 listed in here for the Port Hope area would be remediated  
3 according to the plans under the Port Hope area  
4 initiative.

5 **MEMBER DOSMAN:** Sorry to prolong the  
6 discussion, I would just like to, with your permission,  
7 ask one more question.

8 For example, in the urban sites in Toronto,  
9 I take it, or perhaps you might confirm my thought, that  
10 the value of the cost of cleaning this site is in excess  
11 of the value of the real estate or the site would be dealt  
12 with it; is that the issue?

13 **MR. STENSON:** Ron Stenson.

14 Primarily, the material in the building  
15 sites in Toronto, a lot of the buildings are very  
16 expensive real estate and the fixed contamination is on  
17 the structural components.

18 So in order to actually remove the  
19 contaminated material from the building, you would have to  
20 demolish the building with very minor exceptions. And in  
21 fact the cost of clean-up at that point would be the cost  
22 of the building and the buildings are occupied and they  
23 are in prime locations and most -- the owners are really  
24 reticent to do so.

25 At the same time, we are confident that the

1 occupation of the buildings and the their current uses  
2 does not result in a hazard because of the fixed  
3 contamination.

4 **MEMBER DOSMAN:** Thank you.

5 **THE CHAIRPERSON:** Dr. Barnes?

6 **MEMBER BARNES:** I just want to get  
7 clarification on one of the bullets in your powerpoint,  
8 Image 6, which followed the map.

9 The third one says:

10 "Natural Resources Canada continues  
11 its efforts to establish long-term  
12 programs for these sites."

13 So that suggests that it's having some difficulty in  
14 getting the programs in place, and I didn't know if that  
15 was financial resources, Staff resources or the complexity  
16 of the stakeholder mix there that's ---

17 **MR. STENSON:** Ron Stenson.

18 Without pretending to be able to speak for  
19 NRCan, who unfortunately isn't present, my understanding  
20 is that there's a complexity of stakeholder government  
21 policy interactions that makes it problematic to create a  
22 policy or a plan to do the work immediately.

23 I know that there's consultations going on  
24 in the Northwest Territories with the Northwest  
25 Territories government and the local governments which has

1 just started and, of course, the Port Hope area initiative  
2 is a plan that had been decided on is moving forward.

3 So it is really a complexity of stakeholder  
4 relations mixed with the policy implications for the  
5 federal government, but that's my understanding of NRCan's  
6 position.

7 **MEMBER DOSMAN:** And do I take it that the  
8 renewed interest in pipeline development in the MacKenzie  
9 Valley doesn't essentially intersect these geographically,  
10 these areas?

11 **MR. STENSON:** Ron Stenson.

12 No. In fact, some of the reviews that  
13 we've done for the Sathu Line, the water board have been  
14 because of infrastructural support for the pipeline and  
15 they don't intersect these sites at all.

16 **THE CHAIRPERSON:** But just to follow up to  
17 this, you know, I think there's a reasonableness maybe to  
18 ask, how do we light a fire under this?

19 I mean this has been an issue in the  
20 Northwest Territories that has come up and down for a  
21 long, long time and I just -- it's not the CNSC's  
22 responsibility to do that, but it is the CNSC's  
23 responsibility to look at oversight. And I don't know if  
24 there's -- so it's NRCan's responsibility to set the  
25 policy; is that your understanding on this, versus, say,

1 Diane?

2 **MR. STENSON:** Ron Stenson.

3 Yes, it is NRCan's responsibility because  
4 these are classified as historic waste sites. I know that  
5 there are discussions between NRCan and Indian & Northern  
6 Affairs on some of the jurisdictional issues and perhaps  
7 Staffing, but I really can't speak to those, but it is --  
8 it's a policy decision that has to be made and followed  
9 through on.

10 **THE CHAIRPERSON:** Would you like to comment  
11 at all on that issue?

12 **MR. GERESTEIN:** Bernard Gerestein, Low  
13 Level Radioactive Waste Management Office.

14 Good afternoon, Members of the Commission,  
15 Madam President.

16 It's -- I don't want to give the impression  
17 or we shouldn't give the impression that nothing is  
18 happening in the north because it is and Indian and  
19 Northern Affairs -- perhaps, not on these sites but with  
20 Port Radium and other locations, the government has put in  
21 place a contaminated sites clean-up and that's being  
22 managed essentially by Indian and Northern Affairs. And  
23 the low level office just in the past week actually has  
24 been in Tulita a cleaning up a mound that has existed for  
25 about ten years, putting that mound into manageable one

1       metre bags so that these bags can eventually be returned  
2       back to the Port Radium sites. So things are happening in  
3       the north

4                       But you're supposition is correct, Madame  
5       Chair, that it is a policy issue and to some extent, a  
6       financial issue with Natural Resources Canada.

7                       **THE CHAIRPERSON:** I think it would be  
8       reasonable for us to send a signal via you to NRCan that  
9       this seems to be taking an inordinately long time.

10                      We had to send a signal on Chalk River as  
11       well that it was taking an inordinate amount of time to  
12       make some policy commitments to various things. And  
13       certainly we're not talking here about anything like the  
14       same concerns, but we would hate to see this fall off the  
15       agenda if we allow the three-year reporting period.

16                      It couldn't be seen as falling off the  
17       agenda which really concerns me with us not having the  
18       annual updates. I think it might be the sole way that  
19       this is staying on the agenda in some areas. You know, I  
20       hate to think that but I'm maybe left to believe that if  
21       we don't keep the focus on through use of expensive  
22       Commission time and expensive Staff time, that this would  
23       fall off the agenda.

24                      So I think what we'll try to do is through  
25       the CNSC Staff, seek some sense of understanding of where



1 that's going in that and the Commission will make its own  
2 decision with regards to the length of time, but I think  
3 should be considered an inordinate amount of time to do  
4 this.

5 This has happened since the war for heavens  
6 sakes, you know; when do we get on with it I guess is the  
7 question we should ask ourselves as Canadians.

8 Dr. McDill?

9 **MEMBER McDILL:** My questions seem, after  
10 that comment, rather small.

11 I wonder if I could ask, with respect to  
12 slide 10, there's the statement that this reduced the  
13 number of sites of concern. How many was it reduced by,  
14 if I could ask Staff, please.

15 **MR. STENSON:** Ron Stenson. Along --  
16 specifically along the Great Bear River there were 12  
17 separate sites that had been identified as potentially  
18 being contaminated by portage and transportation over land  
19 routes. And we've reduced that to two areas of concern.

20 And in the South Slave area, in fact there  
21 was originally - it was eight or nine sites that had been  
22 identified, three of which were private properties that  
23 were cleaned up early in the clean program, and leaving  
24 approximately six, one of those being a very long haul  
25 route that we had no information on, but that - those

1 sites were characterized by NRCan and the low level office  
2 two years ago, and now we've reduced that to two sites,  
3 one of which could contain two small sites. But of the  
4 original-named sites, it's been reduced to two.

5 **MEMBER McDILL:** And in 3.1.3 you were  
6 referring to contamination to 1/SQ per kilogram. First of  
7 all, remind me what that is, and they were remediated to  
8 the standard of time which was what?

9 **MR. STENSON:** Ron Stenson again.

10 "One scheduled quantity per kilogram" was  
11 the old licencing limit that we had under the Atomic  
12 Energy Control Act, and at the time that was - the  
13 remediation was to bring any remaining contamination on  
14 the property would be below that limit. In some cases it  
15 was well below that limit, and in other cases it was  
16 closer to the limit.

17 **MEMBER McDILL:** And can you define for me  
18 "scheduled quantity?"

19 **MR. STENSON:** Ron Stenson.

20 The scheduled quantity, it was the schedule  
21 in the Regulations that listed per nuclear -- radio  
22 isotope or nuclear substance -- the amount of material  
23 that was considered safe, I guess, based on the current  
24 pathways assessments at the time, which was related to the  
25 public dose limit.

1                   **THE CHAIRPERSON:** Further questions?

2                   Well thank you very much and the Commission  
3 will make a decision on your proposal as time permits.  
4 Thank you very much.

5                   That brings to the end the public portion  
6 of this meeting. We will take a break until -- we will be  
7 taking a break for an hour, but we will be moving on to  
8 the *in camera* sessions, so we will be through, the Staff  
9 of the Commission, contacting people as it is appropriate  
10 to come into the back and hear the private -- the security  
11 testimony.

12                   So thank you very much for attending the  
13 meetings today. Thank you.

14

15 Meeting adjourned at 12:35 p.m.