

1           **HEARING DAY 1**

2           **Ontario Power Generation Inc.: Application for**  
3           **the renewal of the operating licence for the**  
4           **Western Waste Management Facility (formerly known**  
5           **as Radioactive Waste Operations Site 2)**

6                           THE CHAIRPERSON: Item 9 on the  
7           agenda is Hearing Day One on the application by  
8           Ontario Power Generation Inc. for the renewal of  
9           the operating licence for the Western Waste  
10          Management Facility (formerly known as the  
11          Radioactive Waste Operations Site 2).

12                           January 29th was the deadline set  
13          for filing by applicant and by the CNSC staff and  
14          February 21st was the deadline for filing of  
15          supplementary information for applicant and  
16          Commission staff. The applicant, Ontario Power  
17          Generation, has filed supplementary information  
18          CMD 02-H8.1A.

19                           This submission was received one  
20          day past the deadline of February 21st. The  
21          Commission has agreed to accept this late  
22          submission. However, Ontario Power Generation  
23          should ensure that measures are in place so that  
24          filing deadlines are met.

25                           As customary, we are going to

1 begin with the oral presentation by the applicant  
2 as outlined in CMD Documents 02-H8.1 and 02-H8.1A  
3 and I will turn it over to Ontario Power  
4 Generation, Mr. Nash.

5

6 **02-H8.1/02-H8.1A**

7 **Oral presentation by Ontario Power Generation Inc.**

8 MR. NASH: Thank you. Good  
9 afternoon, Madam President, members of the  
10 Commission and thank you for this opportunity to  
11 make a presentation.

12 My name is Ken Nash, Vice  
13 President, Nuclear Waste Management. Hugh  
14 Morrison, Director of Nuclear Waste Operations and  
15 Atika Khan, Section Manager Safety Assessment are  
16 with me today to assist in answering any  
17 questions.

18 May I first of all apologize for  
19 filing our documentation late and thanking the  
20 Commission for allowing us to proceed. I did sign  
21 the letter on the correct date but I failed to  
22 ensure that it was transmitted by facsimile and  
23 please accept my apologies and assurance that this  
24 won't happen again.

25 The presentation will include a

1       brief description of how nuclear waste management  
2       is organized in OPG. Waste inventories at the  
3       Western Waste Management Facility, operational  
4       performance, QA management system, our community  
5       relations program, projects are under way at the  
6       facility and finally how we plan to deal with  
7       decommissioning planning, cost estimates and  
8       financial guarantees.

9                       Organizationaly the Nuclear Waste  
10       Management reports to the Executive Vice President  
11       and Corporate Secretary, and this is a separate  
12       reporting line from that for power reactors. The  
13       responsibility for the Pickering, Western and  
14       eventually the Darlington waste management  
15       facilities and transportation of all radioactive  
16       materials is centralized in the nuclear waste  
17       organization.

18                      This separation and centralization  
19       allows for a dedicated quality assurance and  
20       management system for nuclear waste, which results  
21       in improved safety and performance. It allows for  
22       consistent adherence to regulatory standards,  
23       transfer of experience and there is a line with  
24       the CNSC organization.

25                      The Western Waste Management

1 Facility is located at the Bruce Nuclear Power  
2 Development. It stores low and intermediate level  
3 waste from OPG owned reactors, this includes  
4 Pickering and Darlington. And the Bruce reactors,  
5 which are operated by Bruce Power.

6 This view of the facility, I don't  
7 know if you can point to this, Hugh, but it shows  
8 various storage structures. The low level waste  
9 is primarily stored in the buildings to the top  
10 left-hand corner of the facility. Intermediate  
11 level waste is stored in in-ground containers  
12 located at the centre of the picture and several  
13 other concrete structures are used to store  
14 non-processible low level waste and certain forms  
15 of intermediate level waste.

16 The building just below the low  
17 level storage building is the waste volume  
18 reduction facility where waste is either  
19 incinerated or compacted before being placed in  
20 storage. The Western Used Fuel Dry Storage  
21 Facility is currently under construction in the  
22 area to the top right-hand corner of that picture  
23 and I will be talking about that later in the  
24 presentation.

25 The waste inventories accumulated

1 over 27 years of operation of the facility include  
2 45,000 cubic metres of low level waste and 8,000  
3 cubic metres of intermediate level waste. Over an  
4 assumed life of 40 years for all OPG owned  
5 reactors, we plan to add a further 10,000 cubic  
6 metres of waste storage capacity. The main reason  
7 for this rather limited future expansion is based  
8 on improved processing at the waste facility and  
9 waste reductions in the stations.

10 Recognizing that there is always  
11 room for improvement and the need for a continued  
12 vigilance, we are very proud of our operating  
13 performance at the facility. Over the past six  
14 years we have received almost 34,000 cubic metres  
15 of waste, and after processing this has resulted  
16 in 14,500 cubic metres being placed in storage.

17 100 per cent of the regulatory  
18 commitments have been met. The collective worker  
19 dose in any one year has been less than  
20 10 millisieverts and this averages out to a worker  
21 dose of less than 1 per cent of the regulatory  
22 limit. There have been no lost time accidents for  
23 the past six years. Emissions have remained less  
24 than 1 per cent of DRL. There have been zero  
25 spills and zero OP&P violations.

1                   The central part of the  
2                   environmental protection program is a  
3                   comprehensive monitoring program. Over the past  
4                   six years, 100 per cent of regulatory dose and  
5                   emission limits have been met, 100 per cent of the  
6                   environmental monitoring availability targets have  
7                   been met, a scoping ecological risk assessment has  
8                   been completed. The incinerator is now being  
9                   replaced to reduce the emissions of conventional  
10                  contaminants. Interim Derived Release Limits have  
11                  been implemented and action levels proposed to the  
12                  CNSC. A new storm water drainage system has  
13                  recently been installed to reduce the release of  
14                  conventional contaminants and initiatives have  
15                  been undertaken to reduce both Carbon-14 and  
16                  tritium releases from the facility.

17                  The public dose resulting from the  
18                  emissions from the facility remains a small  
19                  fraction of the regulatory limit. Compared to the  
20                  limit of 1,000 microsieverts, the dose from the  
21                  whole Bruce site and that includes the reactors is  
22                  approximately 5 microsieverts per year. The  
23                  public dose from the Western Waste Management  
24                  Facility contributes less than 0.1 microsieverts  
25                  per year.

1                   This chart shows the history of  
2                   some of the main components of radioactive  
3                   emissions from the facility which result in the  
4                   0.1 microsieverts public dose. This includes  
5                   waterborne emissions via surface runoff and  
6                   airborne emissions.

7                   The radioactive emission and the  
8                   public dose from the facility have remained steady  
9                   over the past six years at less than  
10                  0.1 microsieverts and there has been no increase  
11                  in emissions as a result of the increased volumes  
12                  of waste stored at the facility.

13                  One of the aspects of the  
14                  monitoring program is a series of 16 bore holes to  
15                  sample groundwater. Almost 100 per cent of the  
16                  radioactive emissions and public dose are via  
17                  airborne emissions or surface runoff. The actual  
18                  releases via groundwater, the groundwater pathway  
19                  are diminishingly small.

20                  Groundwater monitoring was started  
21                  several years ago as an OPG initiative to provide  
22                  additional assurance and as an extra precaution.

23                  The gross beta levels in all  
24                  16 water sample holes have remained steady.  
25                  Tritium levels in 15 of the water sample holes

1           have remained steady.

2                           The most sensitive water sample  
3 hole, number 231, has shown a recent increase to  
4 about 12,000 becquerels per litre.

5                           Historically water sample hole 231  
6 had shown a gradual increase and had remained  
7 steady for a period of four years at 6,000  
8 becquerels. During the fourth quarter of 2001  
9 there was a step change to 12,000 becquerels and  
10 this was coincident with extensive construction  
11 activity in the vicinity of water sample hole 231  
12 to install a new drainage system for conventional  
13 emissions.

14                           Our preliminary conclusion is that  
15 this change has resulted in a temporary disruption  
16 and has caused this increase to 12,000 becquerels  
17 per litre.

18                           All other water sample holes  
19 remain steady and all the monitored radioactive  
20 releases from the site remain unchanged.

21                           Twelve thousand becquerels per  
22 litre is well below the generic screening criteria  
23 of three million becquerels per litre.

24                           Our scoping ecological risk  
25 assessment shows that there is no impact on public



1           dose or the environment.

2                               We will continue to monitor water  
3           sample hole 231 and report to the CNSC on a  
4           frequent basis.

5                               Nuclear Waste Management has a  
6           dedicated quality assurance and management system  
7           in place. It is 100 per cent complete and covers  
8           the Western Waste Management Facility.

9                               One of the ways we measure the  
10          quality of the management system is to use the  
11          International Safety and Environmental Rating  
12          System. The Western Waste Management Facility is  
13          rated a 7 out of 10, which is in an upper quartile  
14          performance, and we have a target to achieve a  
15          level 8 in 2003.

16                              The facility has its own ISO 14001  
17          certification. A hundred percent of the licensing  
18          documentation, including the safety report, is up  
19          to date, and there is 100 per cent configuration  
20          management on all containment systems.

21                              Nuclear Waste Management has its  
22          own dedicated performance assurance function that  
23          reports indirectly to the Vice-President. The  
24          primary focus is to ensure regulatory compliance  
25          and to drive continuous improvement.

1                   A total of 77 internal and  
2 external assessments have been carried out on the  
3 facility and its support functions during the past  
4 two years.

5                   Corrective action plans are  
6 developed and tracked to completion, and there is  
7 a weekly oversight meeting of the full management  
8 team to oversee this process.

9                   A number of engineering  
10 construction projects will be completed at the  
11 facility during the course of 2002. These include  
12 construction of an eighth low level waste storage  
13 building, replacement of the 25 year old  
14 incinerator. The new incinerator will meet the  
15 latest CCME and MOE guidelines of reduced  
16 emissions of non-radioactive contaminants. The  
17 addition of intermediate level waste storage  
18 capacity and, finally, the completion of the Used  
19 Fuel Dry Storage Facility.

20                   No further expansions are planned  
21 or envisaged at the facility for the next five  
22 years at least.

23                   The environmental assessment for  
24 the Western Used Fuel Dry Storage Facility was  
25 approved in April 1999 after a comprehensive

1 assessment. CNSC construction approval was  
2 granted in January 2000, after public hearings.

3 OPG applied for an operating  
4 licence in November 2001 and this approval is  
5 requested for June this year to allow  
6 commissioning and full operation by September  
7 2002.

8 The Western Used Fuel Dry Storage  
9 is a repeat of the Pickering Used Fuel Dry Storage  
10 Facility.

11 The safety report for the Western  
12 facility shows the emissions will be negligibly  
13 small. Public dose will be less than 0.1 per cent  
14 of the limit. The worst case accident dose is  
15 0.5 per cent of the limit.

16 This level of performance is  
17 consistent with that that has been proven at the  
18 Pickering Used Fuel Dry Storage Facility where,  
19 incidently, they have been seven years without a  
20 lost time accident.

21 This is a view of the Western Used  
22 Fuel Dry Storage Facility as it was probably  
23 several weeks ago. Construction is right on  
24 schedule and is now about 75 per cent complete.

25 The process building is in the

1 foreground or to the left bottom corner of that  
2 picture. This is where the dry storage canisters  
3 are welded closed, vacuum dried and tested.

4 The storage building is adjacent  
5 to the processing building towards the centre of  
6 the picture, and this building has a capacity for  
7 500 dry storage containers.

8 The area to the right of the  
9 picture is reserved for future expansion of the  
10 dry storage capacity.

11 This is a view of the inside of  
12 the Pickering dry storage building showing the dry  
13 storage containers. These containers will be used  
14 at the Western Waste Management Facility, in fact  
15 they will be identical containers to those used at  
16 Pickering.

17 Each container weighs 70 tonnes  
18 and contains eight tonnes of fuel. Approximately  
19 60 of these containers would be required per year  
20 to support the production of all four Bruce B  
21 reactors at the Western Waste Management Facility.

22 OPG's community relations program  
23 at the Western Waste Management Facility includes  
24 newsletters and presentations, annual open houses.

25 OPG is a member of the Kincardine Joint Liaison

1           Committee and the South Bruce Impact Advisory  
2           Committee.

3                           There are seminars with local  
4           communities and emergency response agencies along  
5           the transportation corridor.

6                           We have bi-annual meetings with  
7           the Medical Officer of Health and the program also  
8           includes access by First Nations to the ancient  
9           burial ground located on the lands retained by  
10          OPG.

11                          Nuclear waste and decommissioning  
12          plans, cost estimates and trust fund contributions  
13          for all OPG facilities are reviewed on an annual  
14          basis with OPG's Board of Directors. OPG has now  
15          accumulated \$1.2 billion in trust funds for this  
16          purpose and continues to contribute over  
17          \$400 million per year.

18                          Waste and decommissioning plans  
19          and cost estimates are being submitted to the CNSC  
20          for all OPG facilities. This includes power  
21          reactors and waste management facilities.

22                          It is intended that a consolidated  
23          financial guarantee will be provided for all OPG  
24          facilities by the middle of 2002. This will be in  
25          accordance with the CNSC guidelines and will be in

1 the form of the trust funds that have been  
2 accumulated and a commitment from the Government  
3 of Ontario.

4 We have provided a summary of the  
5 track record of the Western Waste Management  
6 Facility over the last three licensing periods,  
7 six years. We believe that we have demonstrated  
8 public and work safety, environmental protection,  
9 compliance with the regulatory requirements,  
10 including compliance with OP&Ps, and a management  
11 commitment to continuous improvement.

12 On this basis, we respectfully  
13 request a licence for a period of five years.

14 Thank you.

15 THE CHAIRPERSON: Thank you.

16 With the concurrence of the  
17 Commission Members I would turn to the CNSC  
18 presentation before we open the floor for  
19 questions.

20 This is noted in CMD  
21 document 02-H8 and I will turn to Mr. Howden.

22

23 **02-H8**

24 **Oral presentation by CNSC staff**

25 MR. HOWDEN: Madam Chair, Members

1 of the Commission, for the record my name is  
2 Barclay Howden. I am the Acting Director General  
3 of the Directorate of Nuclear Cycle and Facilities  
4 Regulation.

5 With me today are Mr. André  
6 Régimbald, Head of the Waste Facilities Section of  
7 the Wastes and Decommissioning Division, and  
8 Ms K. Klassen, licensing Project Officer for the  
9 Western Waste Management Facility within the same  
10 section.

11 Ontario Power Generation has  
12 applied for the renewal of their Class IB licence  
13 to operate the Western Waste Management Facility  
14 for a period of five years.

15 CNSC staff has assessed the  
16 application and the performance of the applicant  
17 and has developed a position which is document in  
18 CMD 02-H8.

19 I will now pass the presentation  
20 over to Mr. Régimbald who will outline our  
21 detailed assessment and recommendations.

22 MR. RÉGIMBALD: Bonjour. For the  
23 record my name is André Régimbald. I am Head of  
24 the Waste Facilities Section in the Wastes and  
25 Decommissioning Division.

1                   I am here to present CMD 02-H8  
2           regarding the application from Ontario Power  
3           Generation for the renewal of the operating  
4           licence for the Western Waste Management Facility,  
5           which was formerly known as Radioactive Waste  
6           Operations Side 2.

7                   The Western Waste Management  
8           Facility is located on the site of the Bruce  
9           Nuclear Power Development in the Municipality of  
10          Kincardine, Ontario.

11                  The facility was established in  
12          1974 to provide for the safe management of  
13          radioactive wastes from the nuclear power  
14          generating stations at Bruce, Pickering and  
15          Darlington, Ontario.

16                  The main activities occurring at  
17          the facility consist of managing low and  
18          intermediate level radioactive waste received from  
19          the generating stations and include compacting,  
20          baling or incinerating the waste as appropriate  
21          and placing it in various engineered storage  
22          structures at the facility. A used fuel dry  
23          storage facility for used fuel from the Bruce  
24          Nuclear Generating stations is also under  
25          construction.



1                   In support of the licence renewal  
2                   the licensee has submitted the required  
3                   information pursuant to the Nuclear Safety and  
4                   Control Act and regulations.

5                   Action levels required under  
6                   section 6 of the Radiation Protection Regulations  
7                   were submitted by the licensee and are undergoing  
8                   regulatory review. CNSC expect that appropriate  
9                   action levels will be established for the facility  
10                  by June 2002.

11                  The licensee has submitted a  
12                  preliminary decommissioning plan for this facility  
13                  which has been reviewed and accepted by CNSC  
14                  staff. A consolidated financial guarantee for all  
15                  OPG-owned facilities, which includes the Western  
16                  Waste Management Facility, will be submitted to  
17                  the CNSC in 2002. However, OPG has informed us  
18                  earlier this week that their submission will  
19                  likely be made in the latter part of 2002 and not  
20                  by mid-summer as indicated in the CMD.

21                  CNSC staff has assessed the  
22                  information provided in the application and has  
23                  verified that the information meets the  
24                  requirements of the regulations.

25                  CNSC staff has determined that the

1 information is sufficient to demonstrate that the  
2 licensee programs needed to meet the legal  
3 requirements are in place or, with respect to  
4 action levels and financial guarantees, are  
5 expected to be in place before the end of 2002.

6 CNSC staff has concluded that the  
7 application is acceptable for the purpose of the  
8 licence renewal.

9 With respect to risks to persons  
10 and the environment, the primary risks at the  
11 Waste Management Facility are the radiological  
12 hazards associated with the handling, processing  
13 and storage of low and intermediate level waste.  
14 The potential radiological hazard to the public  
15 and the environment is associated with the release  
16 of radionuclides primarily from the incinerator.

17 There is some risk associated with  
18 the release of non-radiological hazardous  
19 substances at the facility, primarily dioxins and  
20 furans associated with the incinerator operation.

21 There are also conventional  
22 hazards to the workers typical to the type of  
23 processing and storage that occur at the site.

24 The risks associated with the  
25 operation of the Western Waste Management Facility

1 are controlled by a number of provisions.

2 First, the facility features and  
3 systems are designed to contain and prevent the  
4 uncontrolled dispersion of hazardous substances.  
5 Designs include multiple containment barriers,  
6 monitoring provisions and filtering systems.

7 Second, the licensee has programs  
8 and procedures in place such as the Radiation  
9 Protection Program and the Monitoring Program that  
10 provide preventative and mitigative control.

11 I would like to point out that  
12 there is a correction to be made on page 11 of the  
13 CMD in section 7.3.4 with respect to groundwater  
14 monitoring. There are actually 16 water sample  
15 holes monitored and not 9 as indicated in the  
16 first paragraph.

17 Further control is achieved by  
18 CNSC inspections and assessments to verify  
19 compliance with the Act, the regulations and the  
20 licence.

21 CNSC staff also consults with the  
22 Ontario Ministry of the Environment, Ontario  
23 Ministry of Labour and Environment Canada as part  
24 of a joint regulatory review process with respect  
25 to the facility to assure compliance with all

1 relevant federal and provincial regulations.

2 The licensee's performance in  
3 controlling the risks of the facility has been  
4 assessed.

5 With respect to worker health and  
6 safety, doses remain well below regulatory limits.  
7 During the current licensing period the most  
8 exposed worker received an annual dose of less  
9 than 2.5 millisieverts and doses have been  
10 similarly low over several previous licensing  
11 periods.

12 The conventional safety record has  
13 been good with no loss of time accidents in this  
14 or several previous licensing periods.

15 With respect to the public and the  
16 environment, releases of radionuclides to the  
17 atmosphere and to water from the facility have  
18 remained at small fractions of the operation  
19 target of 1 per cent of the derived release limits  
20 established by the licensee. Fugitive releases of  
21 volatile tritium and Carbon-14 have been assessed  
22 to be similarly small. The licensee has taken all  
23 reasonable precautions during the current  
24 licensing period to mitigate these releases.

25 The radiological dose to critical

1 members of the public from the BNPD site, which  
2 includes the waste facility, have been less than  
3 3 microsieveverts to the adults each year since  
4 1996. As the waste facility contributes less than  
5 1.5 per cent of the radionuclides released to the  
6 air and less than .01 per cent of the total  
7 radionuclides released to water from the entire  
8 BNPD site, the impact of the facility on the  
9 public is very small.

10 With respect to hazardous  
11 substances, the licensee has operated in  
12 compliance with the CNSC licence and the Ontario  
13 Ministry of the Environment Certificate of  
14 Approval with respect to these substances.

15 An ecological effects review did  
16 not identify any effects from releases of  
17 hazardous substances from the facility. While  
18 this is the case, the licensee is currently  
19 replacing the old incinerator, which is a current  
20 source of dioxins and furans, with a modern  
21 incinerator that meets the new federal guidelines  
22 for dioxin and furan emissions.

23 Based on these assessments and  
24 monitoring results, CNSC staff concludes that the  
25 operations at the Western Waste Management

1 Facility are effectively controlled with the  
2 operating programs and monitoring programs in  
3 place.

4 CNSC staff is satisfied that the  
5 operations at this facility do not pose an  
6 unreasonable risk to the environment or to the  
7 health and safety of the workers or the public.

8 Other programs of concern in the  
9 overall performance of the facility and mentioned  
10 in the CMD are security, quality assurance,  
11 emergency preparedness and response,  
12 decommissioning and conventional health and  
13 safety. Some of these programs are currently  
14 under regulatory review, like the security  
15 assessment being conducted by the licensee under  
16 the CNSC security review, or are in final  
17 development, such as financial guarantees.

18 In summary, CNSC staff is  
19 satisfied with the status of these programs.

20 On other issues, OPG has completed  
21 several assessments of the risks to non-human  
22 biota from tritium in groundwater at the facility.

23 This has addressed a requirement in the current  
24 licence to conduct a risk assessment on reaching a  
25 trigger value of 10,175 becquerels in water sample

1 hold 231 at the facility.

2 The results of these assessments  
3 have established a benchmark of 3 million  
4 becquerels per litre for non-potable water that  
5 represents the estimated no-effects value for  
6 non-human biota. This benchmark is acceptable to  
7 CNSC staff. So while monitoring results at water  
8 sample hole 231 have spiked in December 2001 above  
9 the 10,175 becquerels per litre, the tritium  
10 concentrations in the borehole are orders of  
11 magnitude below the threshold value that might  
12 impact on the environment.

13 The licensee's preliminary  
14 assessment attributes the spiking to the repair of  
15 a drainage line and some construction that took  
16 place relatively near the sample hole in the fall  
17 of 2001 and CNSC staff agrees that this is most  
18 likely the case.

19 OPG is continuing with their  
20 investigation of the increase, and following their  
21 submission of the final report CNSC staff will  
22 assess whether or not additional measures will be  
23 required.

24 CNSC staff is satisfied with the  
25 actions the licensee has taken throughout this

1           licensing period in response to the tritium values  
2           in water sample hole 231.

3                         With respect to the status of  
4           ongoing projects at the facility, OPG expects to  
5           have these projects, including the Used Fuel Dry  
6           Storage Facility and the incinerator replacement,  
7           completed and in operation before the end of 2002.

8           At the present time, the licensee has not  
9           identified any definitive plans for other new  
10          projects at the Western Waste Facility.

11                        CNSC staff is satisfied with the  
12          licensee's program to inform the public about the  
13          activities and risks of the facility and its  
14          implementation. The licensee is in compliance  
15          with the CNSC cost-recovery regulations with  
16          respect to the waste facility.

17                        Also, the facility is being  
18          operated in conformity with Canada's international  
19          obligations under the additional protocol to the  
20          existing safeguards agreement and with respect to  
21          the joint Convention on the Safety of Spent Fuel  
22          and the Safety of Radioactive Waste Management.

23                        With respect to the Canadian  
24          Environmental Assessment Act and the relevant  
25          provisions of the regulations under that Act, the



1 renewal of this licence did not require any action  
2 to be taken by the CNSC under the Act.

3 A few changes are proposed to the  
4 licence for the Western Waste Management Facility.

5 First, the requirement for an environmental risk  
6 assessment associated with a trigger value at  
7 water sample hole 231 has been removed as OPG has  
8 effectively complied with this requirement.

9 Secondly, as part of a CNSC  
10 initiative with respect to Class I nuclear  
11 facility licences, CNSC staff propose the  
12 inclusion of five fire safety conditions related  
13 to compliance with fire safety codes. The  
14 conditions require compliance with the National  
15 Building Code, the National Fire Code and third  
16 party reviews of the fire protection at the  
17 facility.

18 Finally, CNSC staff propose that  
19 the licence be issued for five years rather than  
20 two as has occurred in the past. As outlined in  
21 the CMD, the hazards of the facility are  
22 well-defined and understood, adequate controls and  
23 programs are in place to control these hazards and  
24 assess compliance, and the licensee has a  
25 consistent record of good safety performance and

1 regulatory compliance established during the  
2 operation of the facility.

3 CNSC staff will provide a report  
4 to the Commission containing relevant performance  
5 information at the mid point of the proposed  
6 licensing period.

7 In conclusion, with respect to  
8 OPG's request to renew the licence for the Western  
9 Waste Management Facility, CNSC staff concludes  
10 that OPG is qualified to carry on the activities  
11 authorized in the proposed licence and OPG will  
12 make adequate provisions to protect the  
13 environment and the health and safety of persons,  
14 and to maintain security and the measures to  
15 implement international obligations to which  
16 Canada has agreed.

17 Therefore, CNSC staff recommends  
18 that the Commission accepts staff's conclusions,  
19 that the applicant is qualified to carry on the  
20 activities authorized by the licence and that the  
21 applicant will make adequate provision to protect  
22 the environment and the safety of persons, and to  
23 maintain security and the measures necessary to  
24 implement international obligations to which  
25 Canada has agreed.

1                   CNSC staff also recommends that  
2                   the Commission accepts that pursuant to the  
3                   Canadian Environmental Assessment Act and its  
4                   regulations, no environmental assessment is  
5                   required for the renewal of this licence.

6                   Finally, CNSC staff recommends  
7                   that the Commission issues the proposed licence  
8                   for a period of five years.

9                   This completes my presentation.  
10                  Thank you.

11                  THE CHAIRPERSON: Thank you. The  
12                  floor is now open for questions from the  
13                  Commission members.

14                  Mr. Graham.

15                  MEMBER GRAHAM: I have two  
16                  questions. This is to OPG.

17                  In your plan of the site and so on  
18                  you didn't really show how close the site is to  
19                  the lake. I am wondering if you could, on the  
20                  overall site, how -- I am familiar with the site  
21                  of Bruce Power and it is on that same site, is it,  
22                  at Bruce Power? How close is this facility to the  
23                  lake?

24                  MR. NASH: Hugh Morrison would  
25                  probably give a better answer to that than I in

1 terms of exact distances.

2 MR. MORRISON: I don't have the  
3 exact distance, but it is in the order of half a  
4 kilometre, I would say.

5 MEMBER GRAHAM: Perhaps in Day 2  
6 you could maybe bring a better perspective of that  
7 on the proximity.

8 Then my question is: what is the  
9 monitoring that we are doing? I imagine there are  
10 discharge pipes and drainage pipes and so on  
11 draining into the lake and so on from containment  
12 areas and so on. What monitoring is there? There  
13 is always I guess lots of zebra mussels and so on  
14 in that lake.

15 This is to CNSC staff. Do we do  
16 monitoring of the aquatic life around the  
17 discharge pipes from this site?

18 MR. HOWDEN: I will ask  
19 Dr. Thompson to respond to that.

20 DR. THOMPSON: Good afternoon.  
21 For the record, my name is Patsy Thompson, and as  
22 long as I speak it gets better. I am currently  
23 Head of the Environmental Protection section of  
24 the CNSC.

25 The monitoring program that is

1           being conducted is an integrated program for the  
2           site.  It covers the operation of the nuclear  
3           reactors as well as the operations of the waste  
4           facilities.

5                           The monitoring program that is  
6           currently done focuses on environmental media.  
7           There is limited monitoring done of biota.  The  
8           monitoring of biota is currently conducted to  
9           verify compliance with the public dose limit.

10                           OPG and Bruce Power have  
11           jointly -- it was started under OPG, it is now  
12           jointly -- conducted an ecological risk  
13           assessment.  On the basis of that assessment, OPG  
14           and Bruce Power will need to determine whether  
15           environmental effects monitoring needs to be  
16           implemented in addition to their current program.

17                           MEMBER GRAHAM:  I will only ask  
18           one other question because I realize you are  
19           struggling, and I would do it on Day 2 really, but  
20           my only other question is:  is there separate  
21           monitoring for the waste management site or do you  
22           have separate monitoring of that site compared to  
23           the Bruce Power sites?

24                           DR. THOMPSON:  No.  It is an  
25           integrated monitoring program that covers

1 emissions from the station, the nuclear power  
2 reactors as well as the waste management  
3 facilities, simply because the proximity of those  
4 various sources would not make it possible to  
5 discriminate easily what comes from where.

6 MEMBER GRAHAM: Thank you.

7 I won't ask any more questions of  
8 Dr. Thompson.

9 THE CHAIRPERSON: Mr. Graham,  
10 sorry, I believe that the licensee would like to  
11 comment.

12 MEMBER GRAHAM: Okay. Go ahead,  
13 sir.

14 MR. NASH: Just to add to that and  
15 clarify that we do actually monitor, for instance,  
16 surface run-off, which is the main form of liquid  
17 discharge from the facility, that is monitored at  
18 several points from the Western Waste Management  
19 Facility.

20 At a higher level there is an  
21 integrated monitoring of the impacts on the  
22 environment because it is very difficult to -- you  
23 can't distinguish where the impact has come from,  
24 the impact to the environment. We do monitor  
25 separately the discharges from the facility. We

1 know where the discharges are coming from and  
2 where they are going to.

3 MEMBER GRAHAM: My other question  
4 is to OPG, Madam Chair.

5 The Western Waste Management  
6 Facility is on the Bruce site. The reactors are  
7 leased or there is an agreement with Bruce Power  
8 to run those reactors. What is your relationship,  
9 what is the Western Waste Management Facility's  
10 relationship, with Bruce Power? Do you just rent  
11 some space to them or do you do fee for service?  
12 What is your relationship?

13 MR. NASH: I will give an awfully  
14 short answer on that. Approximately 75 per cent  
15 of the land area of the Bruce site is leased to  
16 Bruce Power and they have full control over it.  
17 Obviously, that includes the power reactors.

18 The 25 per cent that remains, that  
19 is not part of the lease and is still part of  
20 OPG's ownership and direct control includes the  
21 Western Waste Management Facility, principally the  
22 Western Waste Management Facility.

23 The relationship we have with  
24 Bruce Power is that, under the contract we have  
25 with them, we accept their low and intermediate

1 level waste. We remove used fuel from their water  
2 pools and store all that material at the Western  
3 Waste Management Facility. In return, they also  
4 provide us with services such as security support  
5 services and certain other -- you know, roads  
6 maintenance, et cetera. So there are contractual  
7 relationships both ways between ourselves and  
8 Bruce Power.

9 It is quite similar to the  
10 division of the organizations prior to the lease  
11 to Bruce Power. Bruce Nuclear was one division  
12 and the waste management organization was another  
13 division, so it is rather easy to create those  
14 lines. Instead of just being understandings, now  
15 they are contractual relationships.

16 MEMBER GRAHAM: But Bruce Power  
17 does not have any investment in the capital  
18 investment in this. Is this what you are saying,  
19 it has no capital investment, capital dollar  
20 investment, in Western Waste Management?

21 MR. NASH: That's correct.

22 THE CHAIRPERSON: Dr. Barnes.

23 MEMBER BARNES: Just a few small  
24 ones here.

25 WWMF is fenced. Why is it fenced?



1           The site as a whole is fenced, isn't it?

2                   MR. NASH:  There are two levels of  
3 fences.  The site as a whole is fenced, and then  
4 within that fence the Western Waste Management  
5 Facility is controlled, the access to that is  
6 controlled by another fence and gates, et cetera.

7                   MEMBER BARNES:  Is it a two metre  
8 high fence?  What is it meant to stop?  Is it a  
9 message or is it an effective mechanism?

10                  MR. NASH:  I will let Hugh  
11 Morrison answer.

12                  MR. MORRISON:  It is partly a  
13 message but it is also there as a physical  
14 barrier.  You know, as people come onto the site,  
15 people gain approval to the site and they may be  
16 required to visit Bruce A or Bruce B.  We want it  
17 to be quite clear to them when they come on site  
18 that they can't have access to the Western Waste  
19 Management Facility so the fence is primarily to  
20 keep these people off the site.

21                           It is also a useful device for us  
22 in terms of making it clear to our staff and the  
23 facility where our responsibilities start and stop  
24 and where you have things like monitoring devices  
25 and so forth.

1                   MEMBER BARNES: Coming back to the  
2                   incinerator now, the measurements you have taken  
3                   are three times over the past five years. This  
4                   seems to meet provincial regulations, but is the  
5                   timing of these also within a sort of provincial  
6                   guideline? Three times over five years doesn't  
7                   seem very much to me.

8                   MR. NASH: It is my understanding,  
9                   and Hugh will correct me if I am wrong on this,  
10                  that we are not required by regulation to make  
11                  these measurements. We make these measurements as  
12                  an extra precaution to confirm that in fact we are  
13                  operating within the guidelines. Is that correct,  
14                  Hugh?

15                  MR. MORRISON: Yes. Basically, I  
16                  think that you do all your stack testing and you  
17                  determine what your releases are. As long as you  
18                  don't change your waste forms and as long as there  
19                  aren't significant changes in your equipment, the  
20                  basic emissions stay very similar so that what we  
21                  have found is that the stack testing we have done  
22                  is fairly consistent from the one time to the next  
23                  time to the next time.

24                  In terms of the regulations, there  
25                  aren't regulations from the MOE that we are

1 required to do, for example, annual stack testing  
2 in our C of A.

3 When we put the new incinerator in  
4 place, the Ministry of the Environment have  
5 requested that we do sort of complete stack  
6 testing in the first year and then complete stack  
7 testing in the second year for conventional  
8 emissions. Now, on top of those conventional  
9 emissions of course, we are continuously  
10 monitoring for radioactive emissions and those are  
11 continuous monitoring.

12 MEMBER BARNES: So the use of the  
13 incinerator is fairly constant, is it?

14 MR. MORRISON: Yes. The  
15 incinerator was operating seven days a week, 24  
16 hours a day, except for periods when it was down  
17 for maintenance or other corrective measures.

18 MEMBER BARNES: You have given us  
19 these numbers on capacity and the five years this  
20 will give you. Does this takes into account the  
21 possibility of additional units on Bruce A coming  
22 on stream?

23 MR. NASH: Yes, it does.

24 THE CHAIRPERSON: Dr. Giroux.

25 MEMBER GIROUX: Thank you.

1                   Concerning first water sampling  
2                   hole 231, which has been troublesome in the past,  
3                   I have two points. The first one is that from  
4                   what I read and hear you appear to be confident  
5                   that you have solved whatever problem was there.  
6                   Is that a fact that you are now confident that  
7                   that hole won't be giving you readings above what  
8                   the others are doing?

9                   MR. NASH: Water sample hole 231.  
10                  Just for clarification of the question, water  
11                  sample hole 231 is now at 12,000 becquerels per  
12                  litre. Is the question will it go above that?

13                  MEMBER GIROUX: No. I think I  
14                  read that you are expecting it to come down to  
15                  something like five or six thousand.

16                  MR. NASH: Yes. Our  
17                  investigations and the advice that we have is that  
18                  this will over a period of time come back close to  
19                  the 6,000 becquerels per litre and that this  
20                  disturbance is somewhat temporary.

21                  MEMBER GIROUX: How much time  
22                  would that be? Do you have a prediction of that?

23                  MR. NASH: It is my understanding  
24                  that it will be within a year.

25                  MEMBER GIROUX: Thank you.

1                   Again, reading from the documents,  
2                   you have done a number of repairs to the hole I  
3                   think. I read that at least in the staff's  
4                   document. I think it would be interesting for me  
5                   to have illustrations of what was done in terms of  
6                   corrective action. This might be for Day 2 with  
7                   illustrations to give us a good perspective.

8                   MR. NASH: Yes. We will undertake  
9                   to do that.

10                  MEMBER GIROUX: Thank you.

11                  My other question is concerning  
12                  the new methodology that you are using to  
13                  calculate release limits. The question is what is  
14                  the purpose of using a new methodology? What are  
15                  you aiming for? This is mentioned -- you appear  
16                  to be puzzled by my question.

17                  MR. NASH: If you could clarify  
18                  where that is mentioned, that will be helpful to  
19                  us.

20                  MEMBER GIROUX: This is on page 8  
21                  of staff's document. Unless I am reading  
22                  incorrectly and staff is the one that might  
23                  answer. Maybe the question should be addressed to  
24                  staff. Okay. On page 8, the second paragraph of  
25                  article 7.3.1 --

1                   MR. NASH: I will get Atika Kahn  
2 to answer that question.

3                   MEMBER GIROUX: Thank you.

4                   MS KAHN: The interim derived  
5 release limits were actually completed last year  
6 and they were put in place starting this first  
7 quarter of 2002. What was done there was only the  
8 new dose conversion factors were taken into  
9 account when we did that revision. But a further  
10 revision is required because the transfer  
11 parameters have also changed with the doses coming  
12 down.

13                   With the dose limits coming down,  
14 a lot of other parameters have changed as well and  
15 those were not taken into account in the interim  
16 derived release limits so now we have to kind of  
17 complete the revision and take it one step further  
18 and include the revised transfer parameters now to  
19 do the final derived release limits. That we plan  
20 to do by the end of this year.

21                   MEMBER GIROUX: Thank you.

22                   That answers my question very  
23 well.

24                   The last question. You mention  
25 that you have conducted 77 assessments, internal

1 and external. Could you give me just a few  
2 examples of the scope of these assessments?

3 MR. NASH: Sorry. Of which  
4 system?

5 MEMBER GIROUX: You don't specify  
6 but you do mention in your presentation that you  
7 have conducted 77 external and internal  
8 assessments.

9 MR. NASH: Yes, 77 assessments.  
10 Each year and then on a quarterly basis myself and  
11 the full management team we assess where our risks  
12 are in our overall operation. We do that in  
13 several ways. One of the ways we do it is through  
14 our environmental management system. We have to  
15 identify aspects and impacts. When we identify  
16 those we then determine where we will do  
17 assessments. Either those assessments are done  
18 with bringing in external auditors or we have our  
19 own, reporting directly to me, assessment teams  
20 that go out in the field and do observations and  
21 write assessment reports.

22 Also from the higher level, the  
23 corporate level also has an assessment function  
24 that has additional assessments of what we are  
25 doing. That is basically the system.

1 Did I answer your question?

2 MEMBER GIROUX: I understand these  
3 are more than technical assessments or physical  
4 measurements.

5 MR. NASH: Yes. They include  
6 field observations.

7 I don't know whether you want to  
8 add to that, Hugh.

9 MR. MORRISON: I think you asked  
10 if we had some examples of the kind of assessments  
11 that we would have done. We certainly have done  
12 assessments in our environmental management system  
13 and how effective that is and our safety  
14 management system and how effective that was. We  
15 were to look at how we use protective equipment.  
16 We certainly have done an assessment within the  
17 last two years on the leadership and our safety  
18 program.

19 As Ken said, basically those are  
20 typical assessments that we do. We attempt to  
21 make sure that we cover off all the key parts of  
22 our business over a reasonable time frame.

23 THE CHAIRPERSON: Ms MacLachlan.

24 MEMBER MacLACHLAN: With respect  
25 to the assessments on page 11 of the CMD 02-H8, it



1 states that OPG had conducted two studies to  
2 assess the environmental risk posed by tritium in  
3 groundwater and that:

4 "These assessments have  
5 determined that tritium  
6 concentrations on the order  
7 of tens of thousands of  
8 [becquerels] remain orders of  
9 magnitude below the ...  
10 benchmark representing the  
11 estimated no effect value for  
12 non-human biota."

13 What work did the Commission staff  
14 do to assess those reports and to reach their own  
15 independent opinion on the veracity of the  
16 conclusions reached in those reports?

17 MR. HOWDEN: I will ask  
18 Dr. Thompson to respond to your question.

19 DR. THOMPSON: The technical  
20 reviews conducted by CNSC staff were in  
21 essentially two phases after an initial meeting  
22 with OPG and their consultants. The initial  
23 proposal by OPG was that this criterion would be  
24 used to manage groundwater issues essentially. To  
25 that, our position was that this was not

1 acceptable as a way of managing emissions because  
2 there are provisions in the regulations requiring  
3 that the licensee control, to the extent possible,  
4 emissions.

5 Having set that stage, OPG then  
6 revised the document and submitted it formally to  
7 CNSC staff for review. The review that was  
8 conducted essentially looked at all the technical  
9 aspects in the document. That included sources of  
10 tritium, the environmental fate of tritium in  
11 different environmental compartments, as well as  
12 an assessment of doses to different human  
13 receptors and non-human receptors to tritium.

14 From that basis, the conservative  
15 assessment indicated that the most exposed  
16 receptors were biota residing in groundwater. So  
17 the assessment essentially is based on groundwater  
18 invertebrates living in soil exposed to those  
19 levels of tritium during their entire life. That  
20 level is set such that under those conditions  
21 there would be no effects on biota exposed under  
22 those conditions.

23 On that basis, then, OPG will use  
24 that criterion as a cutoff. If it is below that  
25 value then we would require that they take action

1 to mitigate the sources. If it is above those  
2 values, then the requirement would be to do a very  
3 site-specific assessment to determine if  
4 remediation is necessary.

5 MEMBER MacLACHLAN: Thank you.

6 Sorry to have to put you through  
7 that.

8 My next question again rises from  
9 CMD 02-H8. That has to do with the proposed  
10 process to amend this licence should it be issued  
11 in the recommended form. That is an amendment  
12 required in about six months' time, as I  
13 understand it, and that has to do with after the  
14 dry storage buildings are commissioned then the  
15 licence will require an amendment to permit used  
16 fuel to enter the facility.

17 My question is: what procedure  
18 does staff anticipate or suggest would be followed  
19 to actually amend the licence; and, given that it  
20 is within the next six months foreseeably or  
21 within six months of issuing this licence, why was  
22 the choice made to not include information on the  
23 details of storing used fuel?

24 MR. HOWDEN: Barclay Howden  
25 responding.

1                   The original authorization to  
2           construct the facility was given by the Commission  
3           back in 2000. Construction is still in process  
4           right now. As far as we can tell, everything is  
5           going according to plan. Our plan is that the  
6           authorization to operate would be done by a  
7           designated officer by an amendment to the licence.

8                   MEMBER MacLACHLAN: Thank you. I  
9           had another question here.

10                   On page 14 of the CMD you state:

11                   "CNSC staff has also  
12                   initiated discussion with OPG  
13                   on a review of the ...  
14                   `National Fire Prevention  
15                   Association ... Standard 801  
16                   for Fire Protection for  
17                   Facilities Handling  
18                   Radioactive Materials --  
19                   1998'..."

20                   Who was to conduct that review,  
21           and when did you anticipate that review would be  
22           concluded? Again, the same question: how did you  
23           anticipate the licence would be amended if the  
24           result of that review suggested that an amendment  
25           should be made?

1                   MR. HOWDEN: I am going to ask  
2 Kay Klassen, who is the project officer, to reply.

3                   MS KLASSEN: OPG was asked to look  
4 at that standard in relation to their activities  
5 at the Western Waste Management Facility and  
6 present their perspective on how they felt that  
7 standard did or did not apply. This information  
8 has been presented to CNSC staff, the staff with  
9 experience in fire protection. That information  
10 is now under review by staff.

11                   Staff is also getting information  
12 from other similarly affected facilities. The  
13 recommendation at that point, once that review is  
14 complete, will determine the applicability of that  
15 standard or sections of that standard or some  
16 variant in relation to what may or may not be  
17 missing from the current set of conditions.

18                   When that is done, if it requires  
19 an amendment to the licence, then that could go  
20 through a licence amendment process if required.  
21 If OPG is agreeable to an amendment to the  
22 amendment, then we might be able to incorporate  
23 that in a subsequent amendment. If staff proposes  
24 it, then it will have to go to the Commission as a  
25 staff proposed amendment of the licence.

1                   MEMBER MacLACHLAN: Thank you.

2                   THE CHAIRPERSON: I guess I have a  
3 follow-up question to that.

4                   I notice that it said that there  
5 are no specific licence conditions on fire safety  
6 currently in the operating licence. Is that  
7 correct? Is that across all the waste management  
8 facilities that there is no current fire safety  
9 condition?

10                  MS KLASSEN: Correct. Our  
11 requirements have been stated to OPG in letters.  
12 OPG is aware of CNSC requirements but there has  
13 been no specific identification of conditions in  
14 the licence on those requirements.

15                  MR. HOWDEN: May I add one more  
16 point?

17                  THE CHAIRPERSON: Sure.

18                  MR. HOWDEN: For this particular  
19 licence being proposed we are proposing five new  
20 conditions.

21                  THE CHAIRPERSON: I guess my  
22 questions revolve around concern about fire  
23 safety, number one, and perhaps OPG might want to  
24 talk about this. That is number one. My first  
25 question is with regard to what is happening now

1 on fire safety at this facility.

2 My second question is I would  
3 imagine that we would want to put in conditions,  
4 et cetera, that may be applicable to this facility  
5 but what is the implications of it more broadly.  
6 For example, we heard about fire safety changes as  
7 part of what I would call a continuous improvement  
8 process in some other facilities. That is my  
9 second.

10 My third I guess is regarding the  
11 comments that were made about it being agreeable  
12 or not. I don't know what that means. I am not  
13 sure that a regulator and a licensee usually have  
14 a relationship that necessarily is dependent on  
15 whether they are agreeable or not.

16 So there are three parts,  
17 Mr. Howden, to that question.

18 MR. HOWDEN: I will tackle parts  
19 two and three first.

20 In terms of the broader  
21 perspective of fire safety, the CNSC has embarked  
22 on a program to review fire safety at the licensed  
23 facilities over the past few years where we  
24 started basically with the higher risk facilities  
25 and started moving down towards the lower risk

1 facilities. We have got to these guys and that is  
2 why we are proposing these five because our  
3 regulations are lacking in terms of fire  
4 protection.

5 In terms of agreeable, what we are  
6 trying to do is we will require certain measures,  
7 but in order to impose measures we have to have  
8 the full understanding of how they link with the  
9 particular facility and, in this case, whether  
10 this national fire protection standard is  
11 applicable to this particular facility.

12 We are entering into consultations  
13 with other licensees in a similar manner with the  
14 end point being that we come to a conclusion that  
15 we have specific requirements which then we would  
16 impose.

17 I forget what the first part of  
18 your question was.

19 THE CHAIRPERSON: It was addressed  
20 to OPG about what exactly is in place now on fire  
21 safety with or without the requirements of CNSC.

22 MR. NASH: I will provide an  
23 answer and then Hugh Morrison may wish to add to  
24 it or in fact Atika Kahn.

25 At our low-level storage buildings



1 we have fire detection systems and we have fire  
2 suppression systems, a carbon-dioxide system.

3 At our Pickering waste management  
4 facility we do have fire detection systems and we  
5 have fire suppression systems in place.

6 In the new facilities we are  
7 building that is the same case. When we do build  
8 a new facility and we do put a system in, we have  
9 independent consultants come along and confirm  
10 that we are putting something in that is going to  
11 operate well and is compliant with the codes that  
12 are in place at that point in time.

13 So we do have quite an extensive  
14 fire prevention system and assessment program in  
15 place.

16 THE CHAIRPERSON: Would I be  
17 correct in assuming -- I did see the comments with  
18 regard to the co-operation with Bruce Power on  
19 emergency preparedness, the fire component of  
20 emergency preparedness. Would that be part of  
21 that broader program?

22 MR. NASH: Yes, indeed. We have  
23 the arrangements for emergency response between --  
24 at Bruce Power and the Western Waste Management  
25 Facility are the same as existed between Bruce

1 Nuclear when it was a division of OPG and the  
2 Western Waste Management Facility right now, so we  
3 draw from Bruce Power's emergency response pool  
4 that is used to support the power reactors. All  
5 of that is in place. It is under contract and it  
6 is tested. There are drills and there are audits  
7 and assessments to confirm that it is in fact  
8 operating in accordance with the plan.

9 THE CHAIRPERSON: One of the  
10 questions we particularly ask licensees when they  
11 are applying for a longer licence period, one of  
12 the qualities that we are looking for is the  
13 stability in terms of the period of time that they  
14 are looking at, not stability of the company,  
15 stability of operations in terms of major changes  
16 or whatever.

17 Although you have alluded to it in  
18 some of the documents, as has the staff, perhaps  
19 just in Day 2, just kind of a one-pager in terms  
20 of looking at the five year period of time and  
21 what are the specific changes that you would see  
22 in the facility both in terms of the facility  
23 itself and any major changes in terms of operating  
24 procedures, et cetera, that we would see.

25 I think it would be important to

1 talk about things that may be a part of continuous  
2 improvement, if I can put it that way, versus what  
3 we can consider major changes. If that could be  
4 delineated that would be helpful. I think the  
5 staff could give you examples of how that has been  
6 done in other areas if you so wish.

7 Mr. Graham.

8 MEMBER GRAHAM: I had one question  
9 for clarification on 7.1 of your presentation with  
10 regard to waste management activities. If you  
11 look at that and just did a brush of quick adding,  
12 waste received about 32,000 metres and waste  
13 handled about 40,000. Your explanation was that:

14 "Waste handled, as indicated  
15 in the table above, includes  
16 not only waste received at  
17 the facility but also wastes  
18 that are removed from storage  
19 to be processed or relocated  
20 and returned to storage."

21 (As read)

22 What do you mean by that? You are  
23 handling it twice or there was material on site  
24 that was not part of this waste received? There  
25 is quite a discrepancy; you have handled a lot

1 more than what you have received.

2 MR. NASH: I will partly answer  
3 that question, then I will pass it over to  
4 Hugh Morrison.

5 From time to time we withdraw  
6 waste from the stored inventory and pass it  
7 through our waste volume reduction facility. So  
8 that is one area where we do handle waste that we  
9 haven't recently received, but I will pass it over  
10 to Hugh to either clarify --

11 MR. MORRISON: Yes. We do a  
12 certain amount of -- we take waste and we may, for  
13 one reason or another, not have either a piece of  
14 equipment available or people available when the  
15 waste is received so we store it safely in, for  
16 example, a low-level storage building. Then  
17 perhaps at a later date when waste received from  
18 the stations aren't so high we may take the waste  
19 out and put it through our incinerator or take  
20 waste out and put it through our compactor and  
21 that way get some volume reduction.

22 We would expect in the future,  
23 when we build the new incinerator -- for example,  
24 we have a certain amount of oil stored in the  
25 facility that we would expect to remove and put

1 through our incinerator. We also have a number of  
2 bales that we would plan to put through a shredder  
3 and put them through our incinerator, so again  
4 quite a bit of volume through doing that sort of  
5 thing.

6 MEMBER GRAHAM: So waste handled  
7 can be more than waste received. I guess that was  
8 my question. You had extra waste on the site or  
9 you handle it more than once so that is why your  
10 volume is up.

11 MR. MORRISON: Yes. It is waste  
12 that we may have to handle -- like, we have taken  
13 it, we have put it into storage, but then at a  
14 later date it is of benefit to the operation to  
15 pull it out of storage, process it and put it back  
16 into storage again.

17 MEMBER GRAHAM: Okay.

18 THE CHAIRPERSON: Thank you very  
19 much. That brings us to the end of the question  
20 period for this hearing.

21 This hearing will continue on the  
22 18th of April, 2002, here in the CNSC offices.  
23 The public is invited to participate either by  
24 oral presentation or written submission on hearing  
25 Day 2. Persons who wish to intervene on that day

1           must file submissions by March 19, 2002.

2                               The hearing is now adjourned,  
3           then, to April 18, 2002.

4                               Thank you very much.