

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

YUKON UTILITIES BOARD
YUKON ENERGY CORPORATION 20 YEAR RESOURCE PLAN
APPLICATION TO THE YUKON UTILITIES BOARD

Held at Gold Rush Inn
Whitehorse, Yukon
November 15th, 2006
Volume 3 - A.M. Session
Page 212 - 314

BEFORE BOARD MEMBERS:

- | | |
|------------------|---------------|
| Wendy Shanks | A/Chairperson |
| Brian Morris | Member |
| Richard Hancock | Member |
| Michael Phillips | Member |

BOARD COUNSEL:

Renee Marx

BOARD STAFF:

- | | |
|--------------|-----------------------|
| Pat Wickel & | |
| Dwayne Ward | Technical Consultants |
| Deana Lemke | Executive Secretary |

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

213

1

2 APPEARANCES:

3

4 Yukon Energy Corporation John Landry

5 David Morrison

6 Cam Osler

7

8 City of Whitehorse Wayne Tuck

9

10 Utilities Consumers' Group Michael Buonaguro

11 Roger Rondeau

12

13 Yukon Conservation Society J. P. Pinard

14

15

16

17

18 TRANSCRIBER:

19

20 Doug Ayers Reporting Services

21

22
23
24
25
26

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

214

Preliminary matters

1 (Proceedings resumed at 9:00 a.m.)

2 THE CHAIR: Good morning,
3 everyone. Just with respect to a couple of
4 preliminary matters, we will look to adjourn today
5 around 4:00 p.m., and lunch from 12:00 to 1:30,
6 mid-morning break around 10:30, and an afternoon
7 break around 2:45.

8 On another matter, I am not really sure that
9 there is any significance between the fact that
10 this weather and the hearing have arrived at the
11 same time, but in checking the Environment Canada
12 forecast for the short term, it appears we don't
13 have much to look forward to in terms of the
14 weather, anyway.

15 On that matter, Ms. Marx, do you have any
16 matters before the Board you would like to bring

17 forward?

18 MS. MARX: I do not, but I understand

19 Mr. Landry has some -- YEC has some undertaking
20 responses to file this morning.

21 THE CHAIR: Mr. Landry.

22 MR. LANDRY: Thank you, Madam
23 Chair. We have three undertakings to file now, and
24 I think the balance, which I think will be two
25 more, we will be able to get by the end of the
26 break, we hope, so that counsel will have them

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

215

Preliminary matters

1 before he finishes his cross.

2 The first one that we would like to respond to
3 is the issue that arose, Madam Chair, regarding the
4 contracting policies, you will recall, and that was
5 an undertaking, just for the record, that is at
6 transcript page 208. So Mr. Morrison will respond
7 to that.

8 A MR. MORRISON: Thank you, Madam
9 Chair. Just in response to a question about, could
10 we table our contracting policies. I would just
11 like to advise the Board this morning that in the
12 2005 Revenue Requirement Hearing, we tabled, in

13 response to McMahon-YEC-1-72, we tabled 13 of our
14 policies at that time. Subsequent to that hearing,
15 those 13 policies, and all of the remainder of our
16 policies, contracting and purchasing policies, and
17 guidelines, have all been on our website. So
18 I have a hard copy here, if someone would like one,
19 but they are all on the website, and they have been
20 for over a year.

21 MR. LANDRY: Madam Chair, Ms. Dixon
22 will provide counsel with a copy, a hard copy, of
23 both of those documents that Mr. Morrison has
24 referred to, and if anybody else wants hard copies,
25 we can get them, but they are on the website.

26 THE CHAIR: Would you like to mark

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

216

Preliminary matters

1 those as exhibits still at this time?

2 MR. BUONAGURO: Sure, we can do that.

3 THE CHAIR: So marked.

4 MR. LANDRY: What would that number
5 be?

6 MS. LEMKE: B-16.

7 THE CHAIR: B-17.

8 MR. LANDRY: Correction, B-17.

9 EXHIBIT NO. B-17:

10 CONTRACTING POLICIES.

11 MR. LANDRY: Madam Chair, the second
12 undertaking related to the near-term non-industrial
13 load forecast that was being discussed yesterday
14 with counsel, and just for the record, the preamble
15 started at page -- approximately page 165, and the
16 actual question came at page 177, and it related to
17 the 2.2 percent growth rate in that near-term
18 non-industrial load forecast, and the reference is
19 Exhibit B-2, page 24. Mr. Bowman will respond to
20 that undertaking.

21 And Madam Chair, just for the record, this is
22 called Yukon Energy, Undertaking Number 1, which we
23 can give an exhibit to in a second, but we did the
24 numbering relative to when the undertakings
25 occurred on the transcript. Mr. Bowman?

26 A MR. BOWMAN: Thank you. The

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

217

Preliminary matters

1 Undertaking Number 1 was to look at the 2.2 percent
2 number that is used in Exhibit B-2 at page 24,
3 which was one component of coming to the long-term

4 average growth rate used in the Resource Plan. And
5 at that time, the Yukon Energy used a three-year
6 average recorded increase in consumption, and
7 "consumption" meaning YECL's wholesale purchases
8 on the WAF system for firm sales, not secondary
9 sales.

10 What we have prepared in this exhibit is the
11 numbers that were used in the Resource Plan to come
12 to the 2.2 percent, and also more recent actuals
13 that we have recorded since the time of the
14 Resource Plan. At the time the Resource Plan was
15 prepared, full year actuals were only available to
16 the end of 2004, it was being prepared within
17 2005. So in the table that has been handed out,
18 you will see that the numbers are listed on the
19 left-hand side, and what we have done is put in
20 bold and italics the numbers that were used in the
21 Resource Plan for the 2001 to 2004 period, which is
22 the three year period that was being addressed in
23 those columns. Column A, that is listed there, is
24 the WAF firm wholesales which is YECL's purchases
25 from YEC on the WAF system, and these are in
26 kilowatt hours.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

Preliminary matters

1 In order to come to YECL's native load, which
2 is the relevant number for considering the
3 long-term system, one would add back the amount of
4 generation YECL provides itself from Fish Lake,
5 which is listed in column B. So that the third
6 column there, which is listed as A plus B, is what
7 we would call YECL's native load. I note that the
8 table calls it a native peak; it is not a peak, in
9 a sense of megawatts, it is an overall annual load
10 also in kilowatt hours, and that is the load number
11 that represents the total load on the distribution
12 system on the WAF.

13 The following column shows the annual growth
14 rates that were experienced during the period we
15 are looking at, and you can see the reason for
16 choosing the 2001 as the starting point is that, by
17 the time the Faro mine closed in 1998, and the next
18 couple of years, there was a substantial trickle
19 down through the economy that some people here will
20 appreciate more than myself, but that ended up
21 being stabilized by about 2001 and, by that point,
22 the load sort of resumed to normal type of
23 patterns. So the bold italicized numbers there
24 represent the three years that were looked at since
25 2001; one year of 1.3 percent, one year of 2.4
26 percent, and one year of 3 percent. And 3 percent

Preliminary matters

1 is cited in Exhibit B-2, as well, as the highest
2 annual recorded increase in consumption to that
3 point. The three year average of those two is 2.2
4 percent, which is the number that was used in the
5 Resource Plan.

6 Since that time we have recorded 2005 actuals
7 and 2006 actuals until the end of October, and
8 those are included in here, as well as the 2006
9 forecasts for November and December that Yukon
10 Energy is using. So that when we add in the full
11 benefit of the loads we now know, we can see that
12 the 2005, the impacts of a very warm November and
13 December in that year, so that the growth was very
14 modest, and 2006 now is showing the more normal
15 weather pattern related to the ongoing growth. And
16 the rolling three-year average is shown in the
17 final column. So that if we use the updated
18 information we have to date, the 2.2 would be more
19 like 2.6 in terms of a three-year average.

20 What we set out in the final right-hand
21 column, the undertaking requested us to use the
22 same methodology as we used in the Resource Plan.

23 The methodology in the Resource Plan was to look at
24 the period since the Faro mine stabilized, the
25 longest period of record available which, at that
26 time, was three years. If we continued that

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

220

Preliminary matters

1 methodology, saying we would look from 2001 until
2 the best available recent data, that would be the
3 number shown in the final column. So that the 2.2
4 percent, which was a three-year average, the
5 following year, when we built in '05, it would drop
6 to 1.9, and the year after that, when we build in
7 '06, 10 months of actuals, it would be up to about
8 2.3. So it doesn't materially change the
9 conclusion.

10 And just for the benefit of people who are
11 fascinated in these type of details, below the line
12 is -- because 2006, of course, we don't have
13 actuals through the entire year, and we did not
14 want to get confused about the extent to which
15 forecasts for November and December might be
16 skewing what is otherwise actual numbers, we have
17 put, at the bottom, just the January to October
18 period, so that one can compare actuals to

19 actuals. And it emphasizes the point that we are
20 setting out above, that the growth that is now
21 being seen, 7 gigawatt hours of the growth between
22 '05 and '06 is already in hand, those are sales
23 already made. And 10 gigawatt hours compared to
24 2004, or almost 10 gigawatt hours compared to 2004,
25 those are sales that have already been made, and
26 they do not rely on any type of forecast. So it's

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

221

Preliminary matters

1 not that the 2006 forecast number up here is
2 hinging on any particular weather pattern, or
3 loads, in November or December.

4 Q So could we have an exhibit number, B-18 is that
5 the correct --

6 THE CHAIR: So marked.

7 EXHIBIT NO. B-18:

8 YUKON ENERGY'S UNDERTAKING #1.

9 MR. LANDRY: And the final one for
10 first thing this morning is an undertaking relating
11 to YECL's purchase power forecast for the past
12 three years, you will recall, Madam Chair, and the
13 preamble starts at page, I believe, 175, or

14 thereabouts, and the actual question is at page 179
15 of the transcript, and Mr. Bowman, I think, is
16 going to answer that one, too.

17 A MR. BOWMAN: The table that has been
18 distributed, the package of materials, five pages,
19 is the information that was requested in regards to
20 the data that YECL provides to YEC on an annual
21 basis. The reference was to a letter that YECL
22 provided to YEC setting out the data that they
23 provide, and it referenced that, in each year, it
24 provides a forecast of the current year plus the
25 following three years, and we were asked to provide
26 the last three packages. Because we did not have

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

222

Preliminary matters

1 the transcript, we were not perfectly clear if the
2 last three packages was '03, '04, '05, or also to
3 include '06, so we put all four in just to make
4 sure that we have covered the bases. '06, of
5 course, though, we don't have an actual year to
6 test against at this point.

7 The front page summarizes the data that is in
8 the following attachments. The back four pages,
9 I won't bother to go through, but in each case, it

10 will set out a fair bit of detail for YECL's
11 forecast for the current year, and then at the
12 bottom of the page, the number of future years they
13 give, and it is not always three, some cases it is
14 four, and some cases it is two. But this is the
15 level of data that YECL provides YEC.

16 I will just note that the tables that are
17 attached are substantively the format provided by
18 YECL, and we are assured by the people who deal
19 with YECL on these that they represent all of the
20 numbers provided, but in some cases, they have
21 additional notes added by YEC staff who are dealing
22 with these tables. They are just an Excel file.

23 In order to make it simple, we have summarized
24 it at the front, and on the front page, if I can
25 just take a minute to go through, this sheet is in
26 megawatt hours, and the numbers provided by YECL,

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

223

Preliminary matters

1 in particular in regards to future years, do not
2 break out WAF versus Mayo-Dawson sales, so the
3 numbers we are dealing with here are total
4 wholesales and include WAF and Mayo-Dawson. Now,

5 Mayo-Dawson is a very small part of these. In the
6 first couple of years up to about 2005, it is about
7 250 megawatt hours, so less than .1 percent, or
8 about .1 percent of what is shown here. Starting
9 in 2005, Stewart Crossing was connected, so it goes
10 up to about 750 megawatt hours of these numbers.
11 It is a very small part, but I wanted to make sure
12 we had that note. And again, these are firm sales,
13 not including secondary.

14 What this table shows on the left-hand side,
15 it sets out the year in question, and the actual
16 sales recorded, and again for 2006 it is if full
17 year forecast. For each of the additional columns
18 is the forecast provided by YECL in the respective
19 year. So the column entitled 2003 is the forecast
20 provided by YECL in 2003, and at that time, they
21 provided a forecast of 223 megawatt hours,
22 increasing slightly through the following three
23 years. 2004, you can see they provided an
24 additional year of data, and 2005, they provided an
25 additional year, and 2006, we have one less year
26 than the normal three.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 And just to follow across then, the concern
2 that had been raised at times in regards to these
3 forecasts, if you look at 2006, for example, actual
4 sales this year, the forecast for
5 November/December, are headed for 247 gigawatt
6 hours. As of 2003, YECL was forecasting 2006 to be
7 about 225. By 2004, they had raised that forecast
8 to about 227, and by 2005 they were expecting 236,
9 and this year's forecast was for 241.

10 So the extent to which this reflects different
11 underlying factors, be it the big box stores, or
12 changes in uses of electric heat, would all be on
13 the other side of the meter, so it is not something
14 that we can comment on in terms of general service
15 versus residential. But the type of growth that
16 has been seen here, again, I am told it won't be a
17 surprise to anyone who lives in Whitehorse in terms
18 of housing construction, and a number of other
19 things that are being seen in this market, and the
20 extent to which the growth is arising, even though
21 it is not being forecast in the numbers that are
22 being provided by YECL.

23 I would just make a final comment that the
24 undertaking reference, the section in the letter
25 from YECL that said they provided wholesale
26 forecasts and actual and forecast Fish Lake, which

Preliminary matters

1 we were asked for as well ... I provided the actual
2 Fish Lake data in the previous exhibit. That is
3 data that YEC has gone to the Water Board to get.
4 Going through the information available, YEC is not
5 routinely provided Fish Lake actuals or forecasts.
6 On occasion, it asks for them and isn't provided
7 them, on occasion it is provided, but it is not a
8 consistent part of the information provided.

9 MR. LANDRY: Madam Chair, can we
10 have an exhibit number for that, please.

11 THE CHAIR: B-19, so marked.

12 EXHIBIT NO. B-19:

13 YUKON ENERGY'S UNDERTAKING #2.

14 MR. LANDRY: I would only reference,
15 Madam Chair, for the record, the letter that was
16 mentioned yesterday from YECL-C1-5 where there are
17 some comments, I guess is the best way to call
18 them, because I cannot think of any other way to
19 describe them, by YECL in their letter of
20 withdrawal, relating to forecast.

21 Those are all of the undertaking responses
22 that we have at this point. There are two more, as
23 we understand them, and we are hopeful to have them
24 after the break this morning.

25 THE CHAIR: Thank you, Mr. Landry.
26 Mr. Buonaguro, are you prepared to proceed?

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

226

YEC Panel
Buonaguro (Cr-ex.)

1 MR. BUONAGURO: Yes, thank you.

2 YEC PANEL FURTHER CROSS-EXAMINED BY MR. BUONAGURO:

3 Q MR. BUONAGURO: And thank you for
4 getting back to us so quickly. I am moving on to
5 the specific four project proposals that are part
6 of the Plan, and I do not expect to be too, too
7 long, actually.

8 With respect to the Aishihik Third Turbine
9 Project, I really only have one question. We
10 understand from the evidence that the project was
11 approved for environmental -- it had its
12 environmental licensing approved as of 1992, and it
13 is all ready to go. Is that correct?

14 A MR. MORRISON: Hector can give you the
15 details, but it is a water licence.

16 Q Okay.

17 A MR. CAMPBELL: Yes, the 1992 date was
18 likely the date that we started the application to
19 bring forward -- or to renew the water licence with

20 some amendments, and in fact, the process was
21 completed -- let me just get it out -- in 2002, and
22 it was a 17-year licence, but that licence does
23 include the approval to construct the third turbine
24 for up to 7 megawatts capacity.
25 Q I think I understand. So you are saying that, from
26 2002, you have 17 years to build it under the

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

227

YEC Panel
Buonaguro (Cr-ex.)

1 current approval?
2 A No, the current renewal period of the licence is
3 for 17 years.
4 Q Starting?
5 A 2002.
6 Q Starting 2002. Is the licence current -- my only
7 concern is whether or not there's changes in the
8 licencing criteria since the time it has been
9 licenced. So you started the process back in the
10 1990s, licensed in 2002, presumably with respect to
11 meeting whatever criteria you had to meet as of
12 2002. I actually don't know if things have changed
13 since 2002. Do you know, is it grandfathered to
14 whatever the existing was in 2002, and if there is
15 changes between then and now; or when you actually

16 do the project, are you obligated to update what
17 you do to meet changing conditions?
18 A No. The water licence that was renewed in 2002 was
19 under the CEAA legislation, which, in the Yukon,
20 has now been replaced by the YESAB process, and in
21 fact, that is the process the utility would likely
22 have to pursue in 2019 upon the subsequent renewal
23 of that licence. But, no, there is no requirement
24 to -- just because there has been new legislation
25 put in place, the terms of the water licence are
26 current, then.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

228

YEC Panel
Buonaguro (Cr-ex.)

1 Q All right, thank you.
2 Moving on to the Marsh Lake project, you
3 answered some questions about this, but I just want
4 to be clear. As I understand the update and your
5 earlier evidence, the reason it has been taken off
6 of the table, so to speak, is because consultatives
7 resulted in a lot of opposition, and that
8 opposition meant that the process of obtaining the
9 proper approvals would be prolonged; is that a fair
10 assessment?

11 A MR. MORRISON: That is correct.

12 Q But I also understand, and there is no mention of
13 any specific evidence brought forward by any
14 specific consultative group, that actually shows
15 that you would fail at the licensing, it is just
16 the drawn-out nature of the licensing that takes --
17 it is not an increased possibility that you are
18 going to lose because there is some factual reason
19 why it should not be approved.

20 A The Marsh Lake project, through the consultation
21 process, is very evident to us that nobody was
22 going to be going through any regulatory processes
23 in any great hurry, and there are two very
24 significant processes, the Water Board, and the
25 YESAB process.

26 One of the advantages to Marsh Lake, if it was

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

229

YEC Panel
Buonaguro (Cr-ex.)

1 possible, was that it could be done -- that it
2 needed to be done fairly quickly. The YESAB
3 process can be a process that you can go through,
4 you know, fairly efficiently, or it could take two
5 and three years to go through. And we have been
6 through lengthy regulatory processes, at the Water

7 Board level, particularly, that have cost millions
8 of dollars, and we are not prepared to address that
9 issue, at the moment, for a 1.6 megawatt project.

10 Q So you are actually projecting that -- the original
11 proposal, I believe, said that you anticipate the
12 licensing process would be no more than \$1
13 million. Are you projecting the actual cost of
14 licensing being significantly higher than that?

15 A Well, we are not projecting it at all, because we
16 are not doing it.

17 Q I understood, though, you seemed to be suggesting
18 that, now that you know that there is going to be a
19 lot of opposition, that that would somehow go
20 higher?

21 A That was one of our concerns.

22 Q Can you identify how much money was spent on the
23 process for Marsh Lake up to date, up to the point
24 that you terminated it?

25 A Well, we went out there and had two public meetings
26 at Marsh Lake, we had a public meeting at Carcross,

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

230

YEC Panel
Buonaguro (Cr-ex.)

1 and we had a public meeting at Tagish.

2 Q I think that is another way of saying "negligible"?

3 A Yes. And, you know, coffee and doughnuts. And

4 there is an IR filed on this information anyway,

5 but we will get you a reference, if you would like,

6 but it is negligible.

7 Q And do you not see any value in having the project

8 available in the next 20 years, much like I

9 understand the Aishihik Turbine Project has been

10 available since 2002?

11 A No, Mr. Buonaguro, I do not see any value in going

12 through a process, at this time, that we don't

13 think we have a lot of -- the chance of success

14 with. We have a lot of other work to do, and this

15 would take a great deal of our time, if we are

16 going through a lengthy regulatory process, and I

17 do not think it is worthwhile doing at this time.

18 Q You mentioned chance of success, and as

19 I understood it, there wasn't actually anything new

20 in the information about the prospect of getting it

21 actually licensed, it was rather the time

22 involved.

23 A Well -- sorry.

24 Q So are you saying that the actual chance of success

25 has actually been impacted, the actual factual

26 elements have changed, or is it simply --

YEC Panel
Buonaguro (Cr-ex.)

- 1 A No.
- 2 Q -- the fact that it is drawn out?
- 3 A It is drawn out.
- 4 Q Okay. Exhibit B-3, which is the supplemental
5 material to the Resource Plan, at Tab 3, page S3-2,
6 this -- at S3-1.2, right at the top of the page, it
7 refers to a study to update specific knowledge of
8 the hydrology of the Southern Lakes region. And as
9 I understand it, there is a larger study, and from
10 what I am reading here, the Marsh Lake Fall/Winter
11 Storage was an aspect of that study. Am I correct
12 in my understanding?
- 13 A Well, you could look at it -- the projects are
14 inter-linked to a certain extent. If we were
15 proceeding with Marsh Lake Fall and Winter Storage,
16 the hydrology study would incorporate some aspects
17 of the work that needed to be done regarding the
18 Marsh Lake project. There is still, in the
19 Southern Lakes, a watershed, there are still some
20 areas that we think are worthwhile doing some
21 hydrological work on for future benefits and future
22 projects. The difficulty, of course, will be, now,
23 those projects and that hydrology will have to be
24 related to projects that do not require flow or
25 storage in the Marsh Lake area.

26 Q So you are actually taking -- you are still doing

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

232

YEC Panel
Buonaguro (Cr-ex.)

1 the study, I understand it?

2 A We will do a limited -- not the same version of
3 hydrology that we would have contemplated by doing
4 the Marsh Lake storage, as I said, if it was
5 included. But there are some potential prospects
6 in the Southern Lakes watershed, in addition to
7 Marsh Lake, that we will look at.

8 Q Now, my instinct tells me that if you are doing a
9 hydrology study anyway, it may be useful and cost
10 efficient to include scenarios that include the
11 Marsh Lake storage even though you are not
12 proceeding with it now. Do you have a sense of
13 difference in cost if you were to include --
14 continued to include --

15 A No, Mr. Buonaguro, I do not. And your
16 instinct might tell you that. My instinct tells me
17 that I do not think we should be wasting money
18 doing a study on an area that we are not going to
19 advance at this point in time.

20 Q So your answer is, you don't know what the cost
21 would be?

22 A I don't know the difference in the cost, no.
23 Q Thank you. Turning now to the Mirrlees updates, or
24 Life Extension Project. In the original Resource
25 Plan, and you do not have to turn this reference
26 up, but it is at B-3, Tab 1, S1-2, there is a short

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

233

YEC Panel
Buonaguro (Cr-ex.)

1 reference which says that NTPC recommends that YEC
2 not retain the units. Then, if you go to page 44
3 -- sorry, let me get the exact reference here. It
4 is UCG-2-42, Attachment Number 1. It is a very
5 long report from NTPC, page 44. It is the
6 recommendations from NTPC, a summary of the
7 recommendations. Do you have that?

8 I can read it to you.

9 A MR. MORRISON: Perhaps you can just
10 give us the reference again.

11 Q It is UCG to YEC-2-42, Attachment 1.

12 A MR. CAMPBELL: What page number?

13 Q 44 of 95. All right?

14 And the second paragraph from the bottom, it
15 begins to explain the recommendation, and I will
16 just read it for the record:

17 "It is strongly felt that it would not
18 be in the best interest of YEC or its
19 customers to spend any more money on the
20 existing Mirrlees units. The units have
21 served their purpose and are now arguably
22 at the end of their useful life. Despite
23 assurances and promises from the OEM (OEM
24 agent) that the units can be economically
25 rebuilt and continue in service, it would
26 not be money well spent. Regardless of

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

234

YEC Panel
Buonaguro (Cr-ex.)

1 the questions surrounding whether, in
2 fact, the units can be rebuilt, it is
3 still 40-year-old technology. The units
4 are not fuel efficient relative to modern
5 diesel units especially when operating on
6 like fuel. The units have an earned
7 reputation of leaking fuel, oil and
8 coolant resulting in a continuous
9 environmental concern/liability. These
10 units require constant attention and
11 maintenance. This is not likely to
12 change significantly after the rebuilt.

13 If these units are rebuilt, YEC will have
14 spent upwards of 8.2 million and not
15 significantly improved its present-day
16 position, nor be in any better position
17 to meet future load growth within the WAF
18 system."

19 I think you touched on your response to this
20 recommendation in your evidence, but it would be
21 useful to us to have a more fuller explanation on
22 the record why this recommendation doesn't apply,
23 or why you think it doesn't apply to YEC.

24 A MR. MORRISON: Thank you. Madam
25 Chair, this issue and this subject have been
26 probably one of the most difficult decisions that I

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

235

YEC Panel
Buonaguro (Cr-ex.)

1 think our management team and our advisors have
2 been through in the last little while.

3 I think, first off, one major difference
4 between, I think, what the NTPC staff were telling
5 us in their recommendation here is, looking at
6 these -- the difference between what they are
7 talking about and what we are talking about is the

8 difference between using these engines as base load
9 engines, and using them in a back-up capacity. And
10 this difference has also, I think, been a difficult
11 concept for us to get our heads around as well.

12 When we look at the capacity planning
13 criteria, when we look at what we need on the
14 system to meet the peak load in the winter, I do
15 not see any way that we can do it without having
16 that 11 megawatts of capacity on the system in a
17 back-up situation. And I am going to be very, you
18 know, rough in my estimates here, but 11 megawatts
19 at \$1.2 or \$1.1 million a megawatt, to buy new, is
20 upwards of \$15 million. We looked at these three
21 Mirrlees engines, and we did a great deal of due
22 diligence in terms of whether or not we could get
23 parts, whether or not we could have some certainty
24 around continuing to get parts well into the
25 future. We have documents, we have records from
26 the original equipment manufacturer that gives us

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

236

YEC Panel
Buonaguro (Cr-ex.)

1 those assurances, we have visited with them to
2 ensure that we understood clearly how they were
3 going to provide parts on an ongoing basis, and

4 service, from their technical expertise.

5 If we can refurbish these engines ... and what
6 we are talking about doing is called a 12,000 hour
7 overhaul, which means that the engines, after that,
8 should have 12,000 hours of life in them. Well, if
9 we run them 100 or 200 hours a year, in a back-up
10 capacity, that is a lot of years of life, compared
11 to spending \$15 million for engines to do the exact
12 same thing; sit there for years at a time, only
13 running maybe 100 or 200 or 300 hours a year, in a
14 back-up capacity.

15 So our difficult decision, and we hired -- you
16 will see, in the B.C. Hydro Report that was
17 mentioned earlier, that B.C. Hydro said that these
18 engines should be retired unless you spend some
19 money on them. So they have said, you should
20 retire these engines, do not spend any money on
21 them. We have another opinion that says there is
22 nothing -- there is no reason that you cannot fix
23 these engines.

24 We have taken the extraordinary step of taking
25 one of these engines -- the manufacturer told us a
26 further step, that would give us comfort, would be

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 to pull the cylinders and have a look at them, and
2 that would tell us whether or not there was
3 significant wear and damage. We have done that.
4 We have done, I think, everything we think we can
5 do to make sure that we know that, when we fix
6 these engines, they are going to work, and they are
7 going to work for a considerable period of time
8 after they are fixed, not just a year or two
9 years. We are looking at these as engines should
10 be there for, you know, a 15-year period, you know,
11 somewhere in that neighbourhood. Now, it depends
12 on how much they get run.

13 The question is, is a difference between base
14 load and back up, and right now these engines,
15 through our Plan, are designated as a back-up
16 facility, and I think that is the difference.

17 Q Thank you. Just one aspect of it, which I do not
18 think was specifically addressed, was the statement
19 that it is a continuous environmental concern or
20 liability. Could you address that particular?

21 A No, I do not think the engines are a continuous
22 environmental liability. They leak a little oil,
23 they are -- that oil is collected in the plant, it
24 doesn't go outside the plant. It is within the
25 shop. I do not think we have an environmental
26 liability with those engines, specifically.

- 1 Q Did somebody want to add to that?
- 2 A No.
- 3 Q I just have, actually, one more question on the
4 Mirrlees?
- 5 A Sure.
- 6 Q And I think part of your answer has already been
7 said, but I might as well ask the question. The
8 report, that same report, talks about the fuel
9 efficiency of new units as opposed to the old?
- 10 A Sure.
- 11 Q Can you comment on that? I do not know if you have
12 the numbers, for example, of how -- I guess there
13 would be projected fuel savings in addition to
14 increased megawatts if you had new units?
- 15 A Yes. Two things, and I will let, you know, either
16 Mr. Osler or Mr. Campbell jump in on this one, but
17 again, the total cost -- there is no doubt that you
18 can buy more fuel-efficient engines, but they would
19 be new engines. And again, we are not running
20 these engines as base load. So if we are going to
21 run them only a few hundred hours a year, there is
22 no fuel efficiency to be earned here. It is not

23 any significant number at all. And the difference
24 between getting a fuel-efficient engine and not
25 running it, and spending, you know, double the
26 money on the capital side of things, there is no

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

239

YEC Panel
Buonaguro (Cr-ex.)

1 payback there at all, by any stretch of the
2 imagination.
3 Q Thank you. Moving, lastly, to the Carmacks-Stewart
4 Line Proposal, which will probably be a little
5 longer than the previous three. In reviewing the
6 proposal, you talk about a \$10 million
7 interconnection benefit, for example, to the
8 ratepayer, and a portion of that is approximately
9 \$5 million in displaced fuel savings, diesel fuel
10 savings, projected out to 2025. It occurred to me,
11 in looking at that, that there should be an
12 accounting for operation and maintenance costs
13 incurred as a result of the line as well, and that
14 these would also be projected out into the future
15 of the life of the transmission line, and I did not
16 see that being accounted for in either the original
17 proposal or in the update. Have you accounted for
18 O & M costs related to the new line, and then

19 worked that into the cost/benefit analysis?
20 A MR. OSLER: I will let Mr. Bowman
21 elaborate, if he thinks he has something to add.
22 Generally, the answer is no, at this stage in the
23 work. The types of estimates that we would be
24 putting in there for the fuel savings would be
25 pretty simple, and we have not got the basis for
26 getting a comparable level of -- getting the level

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

240

YEC Panel
Buonaguro (Cr-ex.)

1 of detail at this stage that you get into. And
2 transmission costs, operating costs, as such, are
3 very low in number, which start off at a very
4 minimal level, and then climb as the years go on.
5 At some stage, we would certainly have to get into
6 that level of detail, but I believe in terms of
7 this interconnection level of thinking, we have not
8 done that at all yet.

9 Mr. Bowman, do you have anything to add?

10 A MR. BOWMAN: No.

11 Q So there is a number in there, you don't know what
12 it is, but you think that it is low?

13 A MR. OSLER: It would be a very low

14 number. It would not materially affect what we are
15 trying to deal with. The uncertainties, with
16 respect to the number you are looking at, are in
17 estimates based in the original B-1 report, based
18 on the load assumptions, on the Mayo-Dawson and the
19 WAF systems, that are noted in that report, as what
20 surplus hydro would be available on the Mayo-Dawson
21 system, assuming there is no new mines. And each
22 year, that number goes down a little bit because of
23 normal load growth. It would go down a whack if
24 the United Keno Hill Mine came on. Hold that
25 thought.

26 The second thing that is affecting the value

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

241

YEC Panel
Buonaguro (Cr-ex.)

1 of the interconnection, for energy savings, is the
2 load on the WAF system. In its simple language,
3 you are going to save a lot more money if the
4 connection occurs when you have the two mines on,
5 as well as the load on the -- the non-industrial
6 load on the WAF system. Our operating assumption
7 back then was, you would not probably see the
8 Carmacks-Stewart line without at least one of the
9 mines, and I think our operating assumption today

10 is you would not see the full connection without
11 both mines, just as a practicality.

12 So on that basis, the load on the WAF system
13 would be high enough to have a need, a use, for
14 that surplus on the Mayo-Dawson system, to displace
15 diesel generation on the WAF system, and you would
16 make the savings. If we get to the next level of
17 refinement of this, there would be extra costs for
18 the diesels operating, and everything else, on the
19 WAF system, that we have not brought into account
20 by just looking at a very simple calculation,
21 largely based on fuel, and there would be an offset
22 that would not be very material, in present value
23 terms, for the operating costs of the Mayo-Dawson
24 system. It would be a very small percentage, from
25 our experience -- for the Carmacks-Stewart system,
26 sorry. It would be a very small effect on the

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

242

YEC Panel
Buonaguro (Cr-ex.)

1 overall calculation that we are talking about, and,
2 in the realm of the uncertainties and issues I am
3 dealing with, would be inconsequential at this
4 stage, so it is just not worth getting into that

5 level of detail.

6 Q Related to that, in terms of the fact that the
7 benefits are projected into the future, but the
8 costs are borne up front and then, presumably,
9 rolled into rates in one form or another, I did not
10 see anywhere an annual breakdown of how the costs
11 versus the benefits track in the years. So I would
12 expect that the costs, to some point, would be very
13 high in the beginning years, and then taper off, or
14 the benefits would taper off -- well, I don't know
15 exactly how it is going to work. But the costs and
16 the benefits are described in the Plan as all
17 happening at once, being reduced to present value,
18 but in reality the costs and the benefits are
19 experienced over the course of a number of years,
20 and either fluctuate, go up or down, based on how
21 they are treated either in rates, or in how the
22 benefits are actually realized, and it would be
23 very helpful to see how that tracks based on your
24 analysis. Can you provide that information, how
25 your current cost/benefit analysis tracks on an
26 annual basis?

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 A MR. OSLER: The short answer is, we
2 can provide you the assumptions that were used to
3 calculate the present value of the energy savings
4 in terms of a distribution of megawatt hours in
5 different years. I would have to track down that
6 number, wherever it is, but we could get you that,
7 because there would have to be a number for it.

8 In Appendix C of the initial B-1 filing, there
9 is a case, at the very end, that shows the annual
10 numbers on the WAF system, with Marsh Lake,
11 Aishihik Third Turbine and Carmacks-Stewart
12 integration. So those set of numbers are out of
13 date only because we don't have Marsh Lake as part
14 of the Plan anymore, but they are sort of an
15 indicator of the types of numbers we were using at
16 the time we did the Plan.

17 If I could, I would make -- your question had
18 a long preamble about, it would be nice to see, and
19 we don't see it, and maybe it would look like
20 this. I would not mind commenting on that, if you
21 are interested.

22 Q I am afraid to invite you to comment, the way you
23 prefaced that, but I guess it cannot do too much
24 harm.

25 A I think we have seen, in the Aishihik Third Turbine
26 or the Mayo-Dawson analysis that we've provided, a

YEC Panel
Buonaguro (Cr-ex.)

1 standard set of tables that show cost by year, for
2 the project in question, and savings by year, for
3 not running diesel. And we have been able to do
4 that because of the nature of those projects, and
5 they have been instructive to the Corporation in
6 assessing cost/benefit, in general, what we call
7 economic analysis, and then we have run the
8 analysis on a financial basis to show potential
9 rate effects year by year.

10 This type of analysis is filed in this
11 hearing, in Appendix C, for the Aishihik Third
12 Turbine under a variety of cases. And you have the
13 first table for each case is an economics table,
14 and the second table for each case is what we call
15 a rate impact table, and they completely parallel
16 the information we gave the Board in the hearing
17 last year, with respect to Mayo-Dawson. There are
18 many projects where that type of analysis is useful
19 and we're able to provide it.

20 In the case of the Mayo-Carmacks-Stewart
21 project, at the stages we have been going through,
22 we faced a different type of situation. The
23 project intrinsically, when we started to look at
24 it, is not something that was going to generate

25 enough savings to warrant its being developed. It
26 would depend, we started off on the assumption, on

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

245

YEC Panel
Buonaguro (Cr-ex.)

1 government funds, so it would have -- basically, if
2 it was fully funded by the government, would have
3 zero costs and would generate the benefits. Our
4 job was to show what type of benefits this might
5 generate. And it was clearly, without the mine
6 loads, not something that the Corporation would
7 undertake on its own. The benefits were clearly
8 well below the costs.

9 As we have progressed, we have gotten into
10 more and more analysis of what might the mines be
11 able to do, how might we proceed with this project
12 in a way that would manage risks, and so the focal
13 point has become not so much how we can save money
14 running diesel, but how we can capture money from
15 the mines, either in terms of commitments up front
16 or in terms of ratepayer benefits. It is a
17 different style of analysis.

18 Again, it does lead to an annual set of
19 numbers that we are using, but it is more for the

20 Stage 1 analysis of that project from Carmacks to
21 Pelly Crossing, what it would yield in terms of
22 annual benefits and present values, and we can
23 certainly provide you with back-up on those.

24 The interconnection that is the Stage 2, going
25 from Pelly to Stewart, is clearly something, at the
26 moment, we still think would need a likelihood of

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

246

YEC Panel
Buonaguro (Cr-ex.)

1 government funding. It would certainly need the
2 Carmacks Copper mine in place for us to take it
3 seriously, and it would continue to bear the risks
4 I just mentioned, when we looked at it: "Where is
5 the United Keno Hill Mine at?", would be an
6 important question.

7 Frankly, that part of it is another type of
8 analysis from the more clear analysis we are now
9 developing for Stage 1, with the clarity of the
10 Minto mine being developed, and the clarity of what
11 we are trying to negotiate and finalize an
12 arrangement with them for a PPA. That starts to
13 get us back into, here is a stream of annual
14 numbers of loads that these people would use, what
15 they could save compared to their diesel cost, what

16 we could charge relative to our Rate 39 and fair
17 share of costs for this line. It is a more
18 complicated analysis, it is more difficult, it
19 takes more time to think it through. It is still
20 easy compared to what we might face in five years
21 time if somebody came along with a brand new mine,
22 and we had to worry about generation being
23 developed at the same time we are doing
24 transmission. So it is a good first step in trying
25 to get our mind around things.

26 But the type of analysis we used for

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

247

YEC Panel
Buonaguro (Cr-ex.)

1 Mayo-Dawson, or we used for Aishihik Third Turbine,
2 is not necessarily something we can always just
3 pull out of a hat for each project to come up with,
4 I guess, is my short comment, and it doesn't
5 necessarily follow the patterns that we used for
6 Mayo-Dawson, where the cost of the project, yes,
7 tend to go down over time, and the benefits go up,
8 but they do it for quite different reasons, quite
9 different manner.

10 Q Thank you for that. Two points for clarification,

11 you said early in your answer that, originally, the
12 project depended on government funding, so that
13 there would be zero costs to ratepayers. That
14 doesn't mean that there would be zero costs to
15 taxpayers; I just want to make that clarification.
16 Is that a fair comment on that?

17 A Yes, I agree with that.

18 Q And the second point is that, I understand what you
19 were saying in your answer, but you do have a
20 specific scenario in your proposal which you are
21 putting forward for review, and the review -- the
22 proposal includes an assumption about the yearly
23 consumption of the mines, which has been compressed
24 up front into a single value, for each of the two
25 mines. It includes an assumption with respect to
26 the costs, which would be rolled into rates in a

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

248

YEC Panel
Buonaguro (Cr-ex.)

1 very particular way, which would then have an
2 effect over time. And you have a specific
3 assumption with respect to ratepayer benefits,
4 which are presented in a lump sum up front but
5 actually are calculated on a yearly basis. And I
6 would think that you can, for my benefit, so that I

7 can understand how that plays out over time, your
8 proposal, which I know is based on assumptions --
9 how that plays out in terms of rates. So I am
10 basically asking for that information in an
11 undertaking.

12 A You expanded your request to the mines, and that is
13 fine.

14 Q Actually, I think -- I was asking for the cost and
15 benefits, and the benefits -- the example I used
16 was the fuel savings, but one of the benefits that
17 is presented to the Board, in terms of offsetting
18 the cost, is the input from the mines, which is
19 something which occurs over time. So, in fairness
20 to me, I do not think I changed my answer, but I
21 think you were focused on my example.

22 A Yes, that is fair. We can get you -- let me look
23 at what we can quickly provide you. The key
24 assumptions for the mine load levels are all in
25 each stage of our reporting, including the update,
26 so that somebody would know what level of load we

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

249

YEC Panel
Buonaguro (Cr-ex.)

1 were assuming for at the mines, and what years we

2 were assuming, but if I can find a way that we can
3 give you a table that lays it out simply so you can
4 follow it. The only thing I am not as sure about,
5 because I have not looked at for a long time, is
6 the numbers from the original document, on the
7 interconnection savings, and that is what I was
8 focused on when I was responding to you earlier.

9 Q I think you are understanding what I am asking for,
10 and I think we can maybe work out the details on
11 the break, or something like that, if there needs
12 to be clarification.

13 A Yes, I just need to see what I can get you
14 quickly.

15 Q All right.

16 A Thank you.

17 Q Now, you mentioned, in one of your earlier answers,
18 that there was originally a pre-condition to
19 starting the project that the Yukon Government
20 provide funding, correct me if I am wrong, I think
21 it was in the order of 10 to \$15 million, I think
22 it was 10. I cannot remember the exact figure.

23 A If you look at the January B-1 exhibit, I think,
24 technically, we always said we would need to make
25 sure that ratepayers would never have a net adverse
26 effect, and it would have to be made up from the

YEC Panel
Buonaguro (Cr-ex.)

1 mines and government. But bottom line, when we
2 started this exercise at the beginning, we thought,
3 at that stage, that it would be basically
4 government for not just 10 or 15 million, but for
5 maybe 30 million, the whole thing.

6 Q All right.

7 A And by the time we got to the supplementary
8 material in June, we made a submission to
9 government where I think the number had gotten to
10 10 million from the government, 5 million for Stage
11 1 and 5 million for Stage 2, based on our new
12 information about the mines. The update that we
13 have just filed is setting out a game plan to do
14 Stage 1 without any government funds, but with a
15 YDC contribution of 5 million.

16 Q I think you have anticipated what was actually my
17 question, which was an explanation as to why there
18 is no need, at least for Stage 1, with respect to
19 government funding. I think the updated proposal
20 is silent with respect to Stage 2, or potential
21 further need for government funding. Can you
22 comment on that?

23 A Yes. Stage 2 has all of the risks, certain issues
24 that I just laid out for you, so we are being very
25 cautious about our ability to -- stating Yukon

26 Energy's ability to do Stage 2, given those

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

251

YEC Panel
Buonaguro (Cr-ex.)

1 uncertainties. We can certainly envisage scenarios
2 where it would be dependent on the 5 million type
3 of number we were talking about earlier, from the
4 government, for Stage 2.

5 On the other hand, if Carmacks Copper hooks up
6 and everything is working fine, and United Keno
7 Hill is not around, coming back on the system,
8 maybe the world would get better, and we could look
9 at Stage 2 more optimistically. So we are cautious
10 in our statements, at the moment, about Stage 2,
11 but we are certainly not standing up and saying
12 Yukon Energy could do Stage 2, for sure, without
13 government funding.

14 The President is sitting beside me, and he has
15 to deal with the Board of Directors, I am just the
16 consultant.

17 Q I hesitate to use the word "elimination", but the
18 removal of the requirement for government funding
19 in Stage 1, and the prospects for the need for
20 government funding in Stage 2, both of them are
21 entirely dependent upon what happens with the

22 mines, in terms of what their contributions are
23 going to be, and how the risks of the costs are
24 being borne or not borne by the mines. Is that
25 sort of a fair summary of what you have just said?
26 A No. And I can explain if you like.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

252

YEC Panel
Buonaguro (Cr-ex.)

1 Q Yes, please.
2 A There are two different issues when you are dealing
3 with the mines. One of them is having a security
4 that we are going to capture the benefits that we
5 estimate if the mines are around. So if I have a
6 mine here for ten years and we sell them this much
7 power, and we sell them at a rate the Board has
8 approved, and we have worked out exactly how they
9 would pay for their portion of the line, and all of
10 those types of good things, the first question we
11 anticipate being asked is, what happens if the mine
12 doesn't last the ten years, only lasts five years?
13 That is called a security question, as distinct
14 from a estimated flow of benefits. Okay?
15 So we are very conscious that we have to
16 address the security question with respect to the

17 mines, if we are going to talk about relying on
18 their benefits for the purposes of financing these
19 lines, and I can address that more if you like.

20 In terms of the flow of benefits, bringing on
21 stream the Carmacks Copper mine, at almost 50
22 million kilowatt hours a year of extra load,
23 produces material benefits, if you can believe the
24 security that it will be around for 8 1/2 years,
25 that add, overall, to the Carmacks-Stewart line's
26 benefit, Stage 1, et cetera, materially. That is

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

253

YEC Panel
Buonaguro (Cr-ex.)

1 the type of thing that gives us extra ability to
2 talk about doing a Stage 2 without, overall, having
3 an adverse rate impact on Yukoners.

4 The thing we are most worried about, at that
5 stage, is whether or not the energy that we are
6 assuming is there from Mayo-Dawson is really there,
7 or whether there are some things happening up in
8 Mayo-Dawson that have used that energy for some
9 other purpose, such as United Keno Hill Mine. So
10 that would be the biggest effect of the thing. No
11 matter how we do it, we have to make sure, before
12 we hook up either mine, we need to address the

13 security question in order to support the numbers
14 we are using to do our analysis.

15 Q I am interjecting with an out-of-sequence question
16 here. I mentioned before about having determined
17 that you projected the displaced fuel savings, as a
18 result of interconnection, out to 2025. That level
19 of specificity is not in the record with respect to
20 the Pelly Crossing \$2.1 million savings. Can
21 I assume it is the same, you have reduced -- the
22 present-day savings for Pelly Crossing, for
23 displaced diesel, is 2.1, I guess, net. Is that
24 also as a projection out to 2025?

25 A There is a note in one of the supplementary
26 filings, I believe, of the calculation and the

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

254

YEC Panel
Buonaguro (Cr-ex.)

1 dates, and the discount rate, it takes it out to
2 the year 2020, assuming that the WAF system is on
3 diesel, by that time, under the base load
4 situation. Again, we could refine that as time
5 goes along, but it is a concept of saving diesel.
6 If we are going to be on a system that doesn't have
7 a surplus, we did not want to give it a credit.

8 Q Small point.

9 I want to confirm some of the specifics of the
10 proposal. As we understand it, under all scenarios
11 where you are connecting a mine, the mine is
12 responsible for the full cost of the 35 kilovolt
13 line between the mine and a certain point, the
14 interconnection point, I guess. Is that true, do
15 you want to qualify that?

16 A If we are dealing with the Minto mine, it is true.
17 If we are dealing with the Carmacks Copper mine,
18 they don't have a 35 kV line. So the concepts go
19 like this: if we are dealing with the
20 Carmacks-Stewart line, as we define it, it is the
21 line that goes from Carmacks, through Pelly, up to
22 Stewart. We then talk about spur lines. They are
23 the lines that come off that Carmacks-Stewart line
24 to go to a mine. Minto mine would have the Minto
25 spur line of about, we used to say 30 or so
26 kilometers, now it is about 27, I believe. That is

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

255

YEC Panel
Buonaguro (Cr-ex.)

1 a 35 kV line, given the load of the Minto mine.
2 And Carmacks Copper would be about an 11 kilometer
3 spur, it would be 138 kV, given the magnitude of

4 their load, and they would be totally responsible
5 for it, on the principle that they are the only
6 customer using the line.

7 So bottom line, any mine connecting to the
8 system, including these two mines, on a line that
9 is solely for their use, would be totally
10 responsible for all actual costs of the line
11 construction, and decommission.

12 Q Then, from going beyond that spur point and then
13 connecting it to the actual grid, which is part of
14 the Carmacks Transmission Proposal, I understand
15 that -- I think there are some estimates in the
16 original proposal for what the contributions would
17 be from the mines, and how it would work. I
18 understand, in the update, you have removed that in
19 order to present the proposal without reference to
20 particular contribution, in view of the PPAs are
21 still being negotiated. I think that is one way of
22 characterizing it.

23 What is the proposal? Is it the proposal to
24 have the mines contribute an amount to the rest of
25 the connection that is in line with what they would
26 have had to spend if it was just them, or is there

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 some other proposal being worked on?

2 A Your characterization of the change in the update
3 from earlier is fair, for the reasons you gave. So
4 my answer is constrained, for the reasons of the
5 update, in the sense of a negotiation process.

6 In discussions with either mine, as we laid
7 out in our June submission, and in the answers to
8 earlier questions, we have certainly made the
9 point, if you had to be totally responsible for
10 building the line you need from Carmacks, would it
11 make sense, relative to the cost that you would
12 incur running diesel, since both of these mines are
13 seeking licences or have licences, in one case they
14 are actually proceeding to be built and will start
15 operating on diesel? In the other case, Carmacks
16 Copper, they are seeking a licence, all of their
17 applications before any regulatory body assume the
18 mine will be run on diesel. Whether that makes
19 sense or not, I am not going to comment, but that
20 is their formal applications. In the case of
21 Minto, it makes abundant sense, that is how they
22 got their \$85 million worth of financing. The
23 market is great, and even if the costs of diesel
24 fuel are high, they can make it work.

25 So in each case, we have looked at the
26 economics, from their point of view, of providing

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

257

YEC Panel
Buonaguro (Cr-ex.)

1 them with a 138 kV line from Carmacks, or a 35 kV
2 line from Carmacks, and would it make sense? Would
3 it pay for them to do that? And the answer in each
4 case has been resoundingly yes, and, for the bigger
5 mine, very much so. Okay?

6 That doesn't mean the mine is automatically
7 desirous to pay what they would need in order to
8 meet my scenario. They might do it if we were not
9 building a Carmacks-Stewart line, they might not,
10 depending on their frame of mind. Mines have a lot
11 of other things to think about than worrying about
12 electrical infrastructure. If they don't need it,
13 they don't need it. If they can save some money,
14 it is nice, but it doesn't mean it is their first
15 priority.

16 We have, in general, had a proposition that
17 has said, if we are developing the Carmacks-Stewart
18 line, we would structure an approach that would be
19 better for the mine than if they had to build the
20 whole thing themselves for their own level of
21 service, but would still be a positive
22 contribution, present value worth, to the

23 construction of the Carmacks-Stewart line segment
24 that they are using. How that can be translated
25 into a PPA is the subject of active negotiation.
26 We had an LOI that translated it in one manner, but

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

258

YEC Panel
Buonaguro (Cr-ex.)

1 LOIs are, as you know, agreements to agree, and
2 they are not the final agreement.
3 Q So I think the answer is something like, we will
4 wait for the PPAs to come out, if they do?
5 A Well, the answer is it probably would not be -- our
6 proposal, and the principles underlying the LOI,
7 were that we were quite happy to have them -- if we
8 built the Carmacks-Stewart line, 138 kV line, to
9 Pelly, we were quite happy to have the Minto mine
10 not pay for the full cost of the 35 kV line,
11 ultimately net cost, from Carmacks to Minto
12 Landing, but we absolutely need them to pay a
13 reasonable portion of that cost for certain net of
14 all provisions in the PPA. That is the subject of
15 negotiation. It won't be zero and it won't be 100
16 percent of the 35 kV line.

17 You have a 138 kV line going from Carmacks to
18 Minto Landing, then on to Pelly; 69 kilometres, I

19 believe, from Carmacks to Minto Landing.

20 We certainly have advised them of the cost of
21 doing a 35 kV line for that distance, and have
22 talked about that, if we were not around doing a
23 138 kV line, that is what they would have to build,
24 et cetera, et cetera. But our ultimate
25 proposition, from Day 1, has always been, if we are
26 building the 138 kV line, we want you to pay a

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

259

YEC Panel
Buonaguro (Cr-ex.)

1 reasonable portion of the costs, but it won't be as
2 high as it would have been if we weren't building
3 that line, but it is going to be materially greater
4 than close to zero. And we are looking for
5 security for that, forms of arrangement, either you
6 give us the money up front, or you give us the type
7 of security that we can rely on that commitment as
8 a security for the financing of this line. And,
9 essentially, the propositions that we have worked
10 from conceptually are, if you are around for seven
11 years, and you are committing to pay this much for
12 this line, you will be buying power, probably, from
13 us, from our grid, and providing these other

14 ratepayer benefits that we are just talking about,
15 so we can rely on, concurrently, not only you are
16 covering this downside cost issue, but you are,
17 essentially, to the best of our ability, giving us
18 security on the benefits as well.

19 Q In the original proposal, and I may muddle this, so
20 you can help me out, the upfront payment that was
21 being sought, at least part of it that was being
22 sought, from the mines, was actually a prepayment
23 of their energy costs, and they would get rebates.
24 Is that no longer a scenario. Because I did not
25 see it mentioned in the update, or is it still in
26 play, so that this capital contribution we're

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

260

YEC Panel
Buonaguro (Cr-ex.)

1 talking about is really a prepayment of energy, and
2 they will get all that money back?

3 A Let me explain the original concept and say that,
4 in my mind, it is potentially still a concept, but
5 there are other concepts being talked about. The
6 Minto mine's feasibility study, released in July,
7 reflects a cost saving that they think they could
8 get from having the grid connection, compared to
9 diesel. They say it is about \$4 million a year,

10 and, at present value, it is 7 1/2 percent of \$19
11 million. We have reported on that in the update,
12 and we have laid out some of the numbers.

13 As far as I can assess, that piece of work
14 properly reflected the letter of intent, so the
15 principles that I am going to talk about are
16 reflected in that estimate. Essentially, that
17 concept was, you will provide us with an amount of
18 money, call it a capital contribution, call it a
19 prepayment, we have used different language at
20 different times, equal to the cost of a 35 kV line
21 for this segment we are talking about, Carmacks to
22 Minto Landing, and we will provide you -- if it is
23 a prepayment, we will apply it to your bill, up to
24 a limit for each year, and the limit we set was 20
25 percent. Under that structure, if they are around
26 a long time, they recover that amount of money. If

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

261

YEC Panel
Buonaguro (Cr-ex.)

1 they are around for a short time, they recover
2 less.

3 Each year that they are getting this so-called
4 rebate, or the prepayment is being applied to their

5 bill, we are, for sure, getting the balance of the
6 bill in terms of the benefits ... the ratepayer.
7 So we thought at the time, and we still think, it
8 is a reasonable approach to giving us the security
9 we like up front for a certain portion of the cost,
10 but trading that off in terms of long-term benefits
11 to ratepayers, and giving them, in the end, a
12 better deal than if we had had to build the 35 kV
13 line for them, that type of saving.

14 So that concept is reflected in their own cost
15 saving estimates. We have updated those estimates
16 to reflect the updated numbers. I did not give
17 these in the update, but the present value savings
18 that they would get using their methodology that
19 they use there, given the update numbers we are
20 using, the assumptions, would not be 19 million,
21 because the costs have gone up, it would be more
22 like 15 million. It is still a big number. I am
23 not sure that that particular approach is the
24 simplest way we can do it.

25 One of the practical problems that we could
26 deal with, in dealing with that approach, was, we

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 were prepared to loan them the amount of money that
2 is involved in their commitment, given adequate
3 security. This is not uncommon in dealing with
4 these types of situations. But we have had some
5 discussions about the level of adequate security, I
6 think we are getting much closer on that subject.
7 But there are different situations in North
8 America, and different situations here. With their
9 securing their financing the way they have, and the
10 type of time periods that are being reported for
11 paying off their bank financing, the security issue
12 seems to be much clearer and simpler today than it
13 might have looked a while ago.

14 Q So if I was to summarize the answer to my question,
15 maybe it might still be in play, but it might not,
16 depending on how you actually end up negotiating?

17 A That would be very fair.

18 Q Okay. In negotiating the purchase power
19 agreements, are the agreements based on a single
20 scenario, or is the negotiation based on a single
21 scenario, or are the negotiations contemplating,
22 I guess, in a worst case scenario -- well, are you
23 contemplating a range of scenarios in terms of full
24 interconnection versus single connections just of
25 the mines? Are there contingencies in the
26 negotiations, so that you will actually have

YEC Panel
Buonaguro (Cr-ex.)

1 multiple agreements, depending on what you
2 ultimately are allowed to do before the Board, when
3 the Board or the Minister reviews the proposal?
4 A As I would envisage the PPAs at the moment, they
5 would be a document, not a set of alternatives, or
6 a multiple set of scenarios. Certainly a multiple
7 set of scenarios is part of a process of thinking
8 it through, and trying to make sure you have
9 covered off various situations, but I would not, at
10 the moment, anticipate that the document would be
11 that type of document. One of the biggest single
12 problems here is timing. The two different mines
13 give us two different examples of the practical
14 problems we face in the future trying to deal with
15 these types of situations, and frankly, we are
16 lucky that we have got this set of situations as a
17 training game.

18 The Minto mine is going ahead come -- going
19 ahead, period. And it is, thank goodness, going
20 ahead on diesel. And if we can get there soon
21 enough to make sense economically, before they have
22 stopped using -- before they got too far into it to
23 pay off the thing over a reasonable period of time,
24 it is a pretty straightforward situation. But we

25 have to get there by the end of 2008, type of time
26 period, or it starts to be just silly.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

264

YEC Panel
Buonaguro (Cr-ex.)

1 So, if we are going to get there by
2 third-quarter of 2008, as a target, we have to
3 start construction in the summer/fall of 2007.
4 There is not a lot of time for dealing with
5 multiple document scenarios, people are looking for
6 certainty. And for example, one of the pressures
7 that mines come back at us with is, give me one
8 rate. You talked about that with me yesterday, I
9 think, let's keep it really simple; just tell me
10 the rate.

11 There are a bunch of reasons we don't
12 particularly want to do that. From their point of
13 view, it makes complete sense; it is clear, we know
14 what it is, and we can go forward together to the
15 Board and get a rate. So we will discuss that, as
16 to which is the most prudent and intelligent way to
17 get a decision, quickly, that you like.

18 In the Carmacks Copper case, if they were to
19 start operations, they want to start, they tell us,

20 without the diesel. They probably have 8 to \$10
21 million worth of diesel plant that they would have
22 to build if they are going to go on diesel. By
23 starting with us, without that, they would not have
24 to build that plant, unlike Minto, and so we would
25 have to be there, though, on time for when they
26 start. The third-quarter, is all they tell us,

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

265

YEC Panel
Buonaguro (Cr-ex.)

1 2008. They have not got their licences yet. They,
2 like us, are busy trying to get their licences. If
3 they got their licences on time, they've filed for
4 them, they would start construction at the same
5 time we would like to.

6 Well, let me just say, so far, we have not got
7 to the point of an LOI, and we are not doing any
8 work on that project. And if we don't do the work
9 on that project, and do not file applications to
10 get the spur line done, it isn't going to be
11 available on time. Now, I don't know -- I will
12 just leave it at that. But these are not things
13 that we can afford to go at, like the Aishihik
14 re-licensing, for a decade. They have very defined
15 time periods, either hit the window or it is,

16 quote, your document yesterday, they are called
17 lost opportunities. Bye bye.

18 Q There was some discussion yesterday, with YCS, with
19 respect to the buying back diesel power from the
20 Minto mine's back-up as a part of it --

21 A Can you give us the reference, by chance?

22 Q Sorry, the reference in the transcript?

23 A Yes.

24 Q I just got the transcript this morning, and I only
25 mean that as a preface. The question, I think,
26 will explain itself. I think the reference from

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

266

YEC Panel
Buonaguro (Cr-ex.)

1 the material was that, once they are connected, you
2 might have the opportunity to buy back energy from
3 them. And I think your answer yesterday, if
4 I remember correctly, was that once they leave,
5 there will be this diesel generator there that you
6 might be able to buy, depending on the
7 circumstances, as a back-up.

8 A MR. MORRISON: Not quite,
9 Mr. Buonaguro.

10 Q I just want a clarification on what the actual

11 proposal or proposals are.

12 A I believe -- that was certainly the question, and I
13 believe my answer was that we were talking about
14 that the plant, that they would put in at their
15 start-up, they would become redundant to them,
16 right, excepting for the back-up that they would
17 require to keep. But they have got some six-plus
18 megawatts of capacity that they are putting in that
19 would become redundant when they became connected
20 to the grid. We have talked to them about,
21 perhaps, purchasing that plant from them if we had
22 -- if it would help us in a capacity situation
23 somewhere. I also believe, and Mr. Osler can jump
24 in, but I want to be very clear, we did not talk
25 yesterday about buying energy from them.

26 A MR. OSLER: In YUB-YEC-2-10, page

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

267

YEC Panel
Buonaguro (Cr-ex.)

1 3, we do talk about the Minto diesel plant, and I
2 will just quote:
3 "The mine at Minto will be installing a
4 prime power diesel plant to provide its
5 needs during the period prior to the
6 interconnection with YEC's system. Once

7 grid power is available to the mine,
8 about 6.4 megawatt of diesel generation
9 will become surplus to Minto's
10 requirements, and is currently expected
11 to be sold and removed unless YEC makes
12 alternate arrangements with the mine.
13 The feasibility of YEC securing access to
14 these units for at least the near-term as
15 a contingency option is being examined as
16 part of the PPA negotiations for the
17 Minto mine."

18 Those are really, I believe, four 1.6 megawatt
19 units on trailers, so they are quite mobile. They
20 are not all of the units in the plant, there is a
21 bit more that they would retain for the emergency
22 support, just for the record. The type of
23 arrangements we have talked about would be us
24 acquiring them, so it would be our units. We could
25 do with them what we wanted, we can move them away
26 from the site any time we wanted, we could sell

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

268

YEC Panel
Buonaguro (Cr-ex.)

1 them, et cetera, so it would be part of YEC's

2 system, nothing to do with them providing
3 anything.

4 The rationale as to why we might look at it
5 is, is there some way, if they are cheap enough in
6 the, sort of, Mirrlees category of costs, and
7 resaleable, when we know exactly how the world is
8 unfolding, that they would be an intelligent --
9 I would hate like heck to see us -- have them move
10 them out, and then the next six months later say,
11 you know, there would be something -- some value to
12 the system. But, at the same time, I can assure
13 you that nobody at YEC, that I am talking to is,
14 lusting after those four 1.6 megawatt -- what do
15 they call them, high speed fittings? So they are
16 not -- only under the right set of terms and
17 conditions would we even get past having a casual
18 chat about it.

19 Q I think that is helpful to a lot of us, in terms of
20 understanding what the actual proposal was. The
21 only clarification, I think you actually said --
22 you would actually contemplate buying them while
23 the mine is still there, not waiting until they are
24 leaving?

25 A That is correct.

26 Q There is an actual possibility that it might be

YEC Panel
Buonaguro (Cr-ex.)

1 done and then moved, or not moved, or something
2 like that?

3 A Right. And it would be our units, and obviously
4 the terms and conditions of us actually paying them
5 would take into account how much they owed us under
6 various arrangements, and would be part and parcel
7 of the package, if we ever did it.

8 Q I have one more question for sure, and then after
9 that question, I thought we might take the break,
10 and then I can confer with my clients, see if we
11 have any stray questions to finish up, I think we
12 are almost done.

13 This is -- I actually ran into one of your
14 engineers at breakfast, but I refrained from asking
15 this engineering question because I did not want to
16 put him in a compromising position. I think it is
17 ultimately just for clarification for us. We
18 understand that the Mayo-Dawson transmission line
19 is 69 kilovolts?

20 A MR. CAMPBELL: That is correct.

21 Q And in terms of interconnecting the two grids, we
22 couldn't understand, being non-engineers, whether
23 that had to be upgraded to 138; if so, is that
24 contemplated in the plan? Maybe you can explain
25 that. Is it something that is a non-issue? I

26 don't know. I just wanted some clarification.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

270

YEC Panel
Buonaguro (Cr-ex.)

1 A MR. OSLER: Let me give you a
2 non-engineer's point, just so that we get some
3 certain things out, then I will let Hector handle
4 the engineering points.
5 You take the two grids, so obviously you are
6 going to take the voltage from one of them, so we
7 are not doing 35 kV -- you know, 35 kV to Pelly
8 Crossing would just contribute nothing to the
9 long-term infrastructure ability to do the
10 connection, as long as everybody in the room
11 understands that. We had advice from Stantec, back
12 a few years ago, that the cost of whether we did 69
13 or 138 basically did not make much difference, for
14 a variety of reasons that I cannot elaborate on,
15 but that was the essence of the conclusion, and
16 other people have supported that.
17 The actual proposal assumes that you do not
18 upgrade the Mayo-Dawson system, it still stays at
19 69 kV, and that the substation at Stewart is
20 upgraded to accommodate the transformations
21 necessary to go from the 138 kV to the 69.

22 Internal to the company, in the long run, it may
23 make sense to look at strengthening the system from
24 Stewart to Mayo, if the power development at Mayo
25 proceeded, in the future, to more generation there
26 for the whole system. You might strengthen that

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

271

YEC Panel
Buonaguro (Cr-ex.)

1 leg, but you never would strengthen, I am advised,
2 the leg between Stewart and Dawson. Now, that is
3 the non-engineer's version.

4 Q Any engineering comments?

5 A MR. CAMPBELL: Actually, surprisingly,
6 what Mr. Osler said was quite correct, even from an
7 engineering perspective. The fact that the
8 Mayo-Dawson line was designed, primarily from a
9 capacity carrying capability, at 69,000 volts. And
10 the rationale, with going to 138,000 volt, for the
11 Carmacks-Stewart phase, again is based on a
12 combination of factors. One of the significant
13 changes in construction costs that has occurred,
14 from around the year 2000 to today, is that the
15 incremental cost, to build 69,000 volt versus
16 138,000 volt, has basically disappeared. So much

17 of the cost now is labour based, and it costs you
18 the same.

19 So we are looking at 138,000 volts, both as a
20 means of having a higher capacity on the line, and
21 the fact that there is not a lot of
22 interconnections along the way. The other factor
23 you look at, from a voltage perspective, is it
24 costs you more to step down from a higher
25 transmission voltage to a customer. And we knew,
26 when we were building the Mayo-Dawson line, there

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

272

YEC Panel
Buonaguro (Cr-ex.)

1 was a number of lodges that wanted to connect, and
2 it is cheaper to connect the lodge, or a residence
3 or a small community, at 69,000 volts, than it is
4 138,000 volts. At the moment, the only known small
5 community with connections on the Carmacks-Stewart
6 line will, of course, be Pelly Crossing, and
7 because we would be stepping down at Minto Landing,
8 for the Minto spur line, there is the ability to
9 provide relatively low cost to connect residential
10 customers in the Minto Landing area, for example.

11 Q All right. One last little question on that, and I
12 think you have mentioned upgrading the Stewart

13 station, and I would assume the cost of that is as
14 part of the proposal?

15 A MR. OSLER: Yes.

16 Q Thought so. Just wanted to make sure. All right.
17 I think those are my questions, but like I said, if
18 it would please the Board, we wouldn't mind taking
19 the 15-minute break to mull over any straggling
20 questions that we might have, but I think we are
21 basically done.

22 THE CHAIR: Thank you very much.
23 Based on that, we will reconvene about 20 to the
24 hour.

25 (Proceedings adjourned at 10:25 a.m.)

26 (Proceedings resumed at 10:50 a.m.)

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

273

YEC Panel
Buonaguro (Cr-ex.)

1 THE CHAIR: Mr. Landry, you look
2 like you want to say something?

3 MR. LANDRY: As I indicated,
4 I wanted to complete the undertakings at least
5 until the most recent one.

6 So the first undertaking I would like to deal
7 with, Madam Chair, is what I am calling Undertaking

8 Number 3, which dealt with the issue of peak
9 demand, request on the 2000 peak demand and 2000
10 peak to date. And Mr. Campbell will give that, and
11 we do have a handout, and I will get you a page
12 reference to that. I just do not have it just on
13 my fingertips here.

14 Here it is. It is pages, basically with
15 preamble and questions, pages 80 to 84 of the
16 transcript.

17 A MR. CAMPBELL: Okay, if people have
18 that exhibit in front of them -- or has it been
19 assigned an exhibit number already?

20 MR. LANDRY: No.

21 A If people could turn to page 21 of the overview,
22 which is Exhibit B-2, I think it might be helpful,
23 of the overview, because the questions relate to
24 some updated numbers flowing out of that table. It
25 is a table of the comparison of the capacity
26 criteria.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

274

YEC Panel
Buonaguro (Cr-ex.)

1 So we understood the undertaking to basically
2 be in two parts. The first part was to identify
3 the actual 2005 peak demand seen by the WAF system,

4 and also to provide an update of the 2006
5 year-to-date peak demand that has been seen on the
6 WAF grid. Just as a supplemental, there was also a
7 request to update the surplus or shortfalls using
8 the three different criteria, i.e., the old
9 criteria, the loss of load expectation criteria and
10 the N-1 criteria. So that is, in effect, what this
11 table does. The actual 2001 peak actually occurred
12 January 13th of -- sorry, in 2005, so the 2005 peak
13 number shown on the original table is, in fact, the
14 correct number. It turned out to be the actual
15 peak demand for that year because, of course, the
16 document was prepared the latter half of that year,
17 but, in fact, as we know, the winter, from 2005 to
18 2006, was a relatively mild one, so we did not set
19 a new peak in the fourth quarter of 2005. So it is
20 basically showing that the criteria is unchanged,
21 of course, and the shortfalls and the surpluses are
22 unchanged from the original filed document in B-2.

23 The peak demand to date, I'm pleased to say,
24 was set yesterday, last night actually. And the
25 actual peak demand was 52.9 megawatts. That, of
26 course, includes, at this point in time, secondary

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 sales. So I have subtracted 4 megawatts off of
2 that number for the secondary sales coincident peak
3 demand, and added 600 kilowatts back on for the
4 generation that Yukon Electrical self-generate at
5 the Fish Lake Hydro Plant. So that is how I arrive
6 at the 49.5 estimated firm peak demand on the
7 system for the year-to-date, 2006.

8 I thought of interest to the Board would be --
9 that, of course, occurred yesterday with an average
10 temperature of minus 24 degrees Celsius. There was
11 currently a very good correlation from temperature
12 to peak demand, that works out to 400 kilowatts per
13 degree C change. So if you simply extrapolate
14 minus 24 to minus 44, which was the temperature,
15 for example, for the peak demand that occurred in
16 2005, I believe, then you can estimate what a new
17 peak would be if we saw some seasonally cold
18 weather. And, again, I have done that in the third
19 row of numbers there. So if we see some cold
20 weather, in the minus 40 degree C range, we will
21 see the peak demand, based on the highest one we
22 have seen to date this year, hit 57.5 megawatts,
23 which is within 100 kilowatts or so of what our
24 forecast peak demand was in our original filing.

25 I would like to note that there are a number
26 of variables that affect the peak demand on the

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

276

YEC Panel
Buonaguro (Cr-ex.)

1 system. It is affected first and foremost by the
2 temperature. It is very temperature dependent. It
3 is also affected by the day of the week. Mondays
4 are high. Fridays are high. Statutory holidays
5 are high. During the week, it is not quite as
6 high. So it is a question of when you get the cold
7 weather, what day of the week does it start at, how
8 many days does the cold weather continue? People
9 tend to get lazy, or they may not plug their block
10 heaters in the first day, but by day two or day
11 three, they will start to. You will start to see
12 users of wood heat get a little tired or stoking
13 the stove and start to turn on the electric
14 baseboard heaters that they will have for backup in
15 some of their homes. So, again, if you have a
16 number of successive days of cold weather, the peak
17 will creep up each day.

18 It is also affected by the time of the year.
19 Because of the reduced daylight hours that we get
20 in December/January, you will find more cases of
21 where, for example, there is more street lighting
22 staying on at the time we are seeing the peaks.

23 Our peaks typically occur from eight to nine in the
24 morning and from five to six at night during the
25 week. They are at a different time on the
26 weekends, but if the street lighting is on, that

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

277

YEC Panel
Buonaguro (Cr-ex.)

1 adds a couple of megawatts, if they are on at the
2 time that the system is peaking as well.

3 So there are a whole bunch of factors that
4 make it difficult to predict with accuracy what the
5 peak will be every year, so we tend to average it
6 out and pick some reasonable days, some reasonable
7 forecasts, and so far they have been actually
8 fairly close, subject to adjustments for weather.

9 MR. LANDRY: Can we mark that as the
10 next exhibit, Madam Chair, please?

11 THE CHAIR: Do we have a number,
12 Deana.

13 MS. LEMKE: B-20.

14 THE CHAIR: B-20 so marked.

15 MR. LANDRY: Thank you.

16 EXHIBIT NO. B-20:

17 YUKON ENERGY'S UNDERTAKING #3.

18 MR. LANDRY: The next undertaking

19 was questions relating to line losses and the
20 capability to improve on line losses, and therefore
21 affect the issue of capacity shortfall. And these
22 questions and preamble come from pages 84 to 86 of
23 the transcript. And Mr. Campbell has a handout for
24 that and will respond to that undertaking.

25 A MR. CAMPBELL: Last night, when we
26 were trying to answer this question, we read

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

278

YEC Panel
Buonaguro (Cr-ex.)

1 through what we thought the questions were, so we
2 will attempt to ask what the questions were.

3 The first question, as we understood, was what
4 are the system losses that we have been seeing?
5 The second question being, what are some potential
6 projects that could be undertaken to potentially
7 reduce system losses? The third question being
8 more specific to transformers, and what is the
9 potential to change out or upgrade transformers,
10 again to reduce line losses?

11 With response to the first question, what we
12 did was basically look yesterday at what our actual
13 line loadings were on our main transmission lines,

14 and we attempted there to quantify what the losses,
15 we are currently seeing under today's weather
16 conditions and line loadings, are. And if you add
17 up our two major lines, for example, the loss is
18 about 6 percent on a medium to higher loaded line,
19 to Aishihik, and again a much higher percentage
20 line loss number on the line to Faro, for example,
21 the total comes up to 2.3 megawatts. So
22 potentially on the table, if you could reduce those
23 losses to zero, you could save 2.3 megawatts.

24 I would note, though, that is not a very big
25 number to deal with, the potential to save
26 2.3 megawatts. Now, I will get into the difficulty

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

279

YEC Panel
Buonaguro (Cr-ex.)

1 in trying to achieve any realistic reductions at
2 all.

3 There is basically -- if you want to reduce
4 line losses, there are three primary ways that
5 utilities look, from time to time, at doing that.
6 The first one is to do a voltage conversion to a
7 higher voltage. A higher line voltage reduces
8 losses on the system.

9 The second one is to re-conductor the power

10 line with a bigger conductor. Again, lower
11 resistance, you reduce your losses on the line.

12 The third one is, can you install a different
13 transformer with lower losses?

14 All of these things, in themselves, are
15 virtually always taken into account when you are
16 designing that equipment or that system for the
17 first time, and there may be opportunities in
18 optimizing the selection of equipment to achieve
19 some losses at that point in time. Unfortunately,
20 it is extremely expensive, with very little
21 benefit, to upgrade after that equipment is put
22 into service. There are some opportunities if the
23 equipment is at the end of its useful life and you
24 are overhauling or rebuilding it, where there are
25 some opportunities, and we have given some examples
26 in our response here, for example, when we re-round

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

280

YEC Panel
Buonaguro (Cr-ex.)

1 the Aishihik generators over the past few years.
2 The one that was just completed, for example, for a
3 very small incremental cost, we were able to
4 improve the efficiency of the transformer, reduce

5 the losses, by putting more copper into it,
6 effectively.

7 Recently, when we have been purchasing new
8 transformers, we certainly have been using a newer
9 more up-to-date higher cost of line losses when we
10 evaluate different transformers, and the purchase
11 is made based on the life cycle cost of operating
12 that transformer. What we have seen, for example,
13 though, in the past year, because of the increase
14 in copper prices and stuff, transformer costs are
15 going up, and even using a higher cost of losses,
16 the optimum purchase price, from a life cycle
17 standpoint, actually has been going the other way
18 to produce a cheaper, slightly lossier,
19 transformer. But overall, because line losses are
20 only a relatively small percentage of the overall
21 capacity of the line, there tends to be -- your
22 savings tend to be a couple of percent, on a
23 relatively small percent to start with, so the
24 actual savings are very small. And from a capacity
25 standpoint, there is virtually no material way you
26 are going to achieve any type of savings that will

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 allow you to reduce your capacity requirements.

2 MR. LANDRY: Madam Chair, can we
3 mark that as the next exhibit, please?

4 THE CHAIR: That is B-21, so
5 marked.

6 MR. LANDRY: Thank you.

7 EXHIBIT NO. B-21:

8 YUKON ENERGY'S UNDERTAKING #4.

9 MR. LANDRY: And the last item
10 I have, Madam Chair, is that Mr. Morrison would
11 like to make a correction to the record, and my
12 reference is page 87 of the transcript.

13 A MR. MORRISON: That is correct, Madam
14 Chair.

15 I would just like to clarify, I may have left
16 a wrong impression yesterday when answering a
17 question from Mr. Pinard. It is page 87, and in
18 the first few lines of that page, I had indicated
19 that secondary sales customers and industrial
20 customers are the same. And I just want to be
21 clear that industrial customers are firm customers,
22 they are not secondary sales customers. I was
23 trying to use as an example in terms of backup, but
24 I think I may have kind of lumped them together
25 where I should not have.

26 So in the secondary sales situation, when we

YEC Panel
Buonaguro (Cr-ex.)

1 reach the capacity in terms of the grid and we have
2 to look at the peak, our practice has been that we
3 have disconnected secondary sales customers if, in
4 fact, to keep them on the system would require us
5 to generate some diesel. So we do not provide any
6 secondary sales if, in fact, we have to go a diesel
7 mode to provide them.

8 In the case of industrial customers, they are
9 firm customers. Now, in terms of an emergency, we
10 have made it clear to the industrial customer, and
11 we have made it clear, I think, yesterday as well,
12 that the industrial customer would have to have its
13 own backup supply on site. But I just wanted to
14 make sure that we were not considering both
15 industrials and secondaries as the same kind of
16 customer.

17 THE CHAIR: Thank you,

18 Mr. Morrison.

19 MR. LANDRY: Those are all of the
20 items that I have, Madam Chair.

21 THE CHAIR: Thank you.

22 Mr. Buonaguro, are you ready to proceed?

23 Q MR. BUONAGURO: Yes, I actually have
24 two quick questions.

25 The first I discussed with counsel. With
26 respect to my questions on Marsh Lake and the cost

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

283

YEC Panel
Buonaguro (Cr-ex.)

1 of Marsh Lake, I have information that there may
2 have been a particular specific report from a firm
3 called Gartner Lee. I do not know about it, but it
4 may be there. And I would just ask for YEC to take
5 a look at that to see if there was a specific
6 consultative report done for Marsh Lake and, if
7 there was, what the cost was.

8 A MR. MORRISON: Certainly, we will do
9 that.

10 Q Thank you.

11 The second question also is related to my
12 questions on Marsh Lake. We talked about the
13 hydrology reports, and it has been explained to me
14 that one of the reasons you do those is to try to
15 look at potential increases to the potential output
16 of the Whitehorse Dam. Are you able to give us
17 what the potential is there for improvement in
18 terms of going beyond 24 megawatts?

19 A No, we cannot at the moment, because we have not

20 done the hydrology studies. That is part of doing
21 the work.

22 Q I thought that might be part of the answer. Is
23 there any sort of guesstimate, potential ...
24 nothing?

25 A Not a good thing to guess at. I am going to try
26 not to do that at this time if that is all right.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

284

YEC Panel
Buonaguro (Cr-ex.)

1 We need to look at the system. I would like
2 to kind of reiterate, though, that some of the
3 reasons of doing Southern Lakes hydrology is that
4 there are other projects potentially out there in
5 that watershed, and we need to look at some of
6 those as well. So it may not just relate to the
7 Whitehorse plant, is the point I am trying to
8 make. But I would hesitate to guess at anything at
9 this point.

10 MR. BUONAGURO: Thank you. Those are
11 my questions. The only thing I could think of is,
12 reviewing some of the undertakings, something might
13 pop up, and I might ask for your leave to jump in
14 this afternoon, but I do not anticipate that being
15 a problem. Thank you.

16 THE CHAIR: That would be the
17 extent of your comments and cross-examination at
18 this point?

19 MR. BUONAGURO: Yes.

20 THE CHAIR: I see, at this time, we
21 have had another intervenor walk in the room who
22 has indicated they would like to do some submission
23 to the Board.

24 Is that true, Mr. Tuck?

25 MR. TUCK: That's me? Yes, I have
26 some questions for Yukon Energy.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

285

YEC Panel
Buonaguro (Cr-ex.)

1 THE CHAIR: Are you prepared to
2 proceed?

3 MR. TUCK: Yes.

4 THE CHAIR: Please do so.

5 YEC PANEL CROSS-EXAMINED BY MR. TUCK:

6 MR. TUCK: So my name is Wayne
7 Tuck. I am Manager of Engineering, Environmental
8 Services, with The City of Whitehorse. And I thank
9 the Board for allowing me to speak or ask
10 questions. I apologize for not being here earlier,

11 but ... working with Council and trying to figure
12 out how we are going to pay our electric bills next
13 year.

14 Q MR. TUCK: I just have a few
15 questions regarding the vision submitted by Yukon
16 Energy. And initially I would just like to know,
17 what is the role of the Utility Board in the
18 reviewing of this document? Do they prepare
19 recommendations that they are required to follow,
20 or what is the net result?

21 THE CHAIR: I am sorry, are you
22 directing your question -- who are you directing
23 your question to?

24 MR. TUCK: To the Board, to the
25 Chair, to you, I guess.

26 THE CHAIR: Ms. Marx, would you

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

286

YEC Panel
Tuck (Cr-ex.)

1 have some comments on that matter?

2 MS. MARX: Well, I guess this is
3 not the appropriate time for asking questions of
4 the Board. Your opportunity right now is to ask
5 any questions you have of Yukon Energy. So I would
6 ask you to proceed on that basis.

7 MR. TUCK: Excuse me, I am new to
8 this. I just needed --

9 THE CHAIR: That's great, that is
10 totally understandable.

11 MR. TUCK: So I was just wanting
12 to find out what the --

13 MS. MARX: For assistance,
14 Mr. Tuck, I can just indicate that the government,
15 in its letter to the Board, directed the Board to
16 submit a report, with recommendations to the
17 government, on the Plan.

18 Q MR. TUCK: In regards to that
19 recommendations, is Yukon Energy then obligated to
20 follow those recommendations, or are they
21 guidelines?

22 A MR. MORRISON: Don't ask me.

23 THE CHAIR: I don't know if the
24 right person is here to answer that. It's a report
25 to the Commissioner in the Executive Council, under
26 directive. If you look in the transcripts of day

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

287

YEC Panel
Tuck (Cr-ex.)

1 one, we mentioned it in the background, in our

2 opening statement, in the background on how we have
3 come to the point of where we are to date in this
4 oral proceeding.

5 Q MR. TUCK: So my question then is
6 to Yukon Energy: Are you obligated, then, to
7 follow the recommendations that have been
8 identified in the decision made by the Board?

9 A MR. MORRISON: It depends on what form
10 the recommendation -- we are not obligated to
11 follow any kind of recommendations, but we are
12 obligated to do certain things under our Act, or
13 under the YDC Act, and we are obligated to do
14 certain things that the Minister has power to give
15 us direction on, subject to that Act and the YUB
16 Act. So it depends on what form the
17 recommendations come in.

18 I will say that, in terms of those kind of
19 approvals, if that is what we are talking about,
20 that Yukon Energy is required to get approval from
21 the Minister before proceeding with major projects
22 such as the Carmacks-Stewart line.

23 Q Okay. Currently, from the City's perspective, we
24 are concerned not only from the financial cost that
25 will be impacted on the citizens of Whitehorse, but
26 also from an environmental perspective, the impact

YEC Panel
Tuck (Cr-ex.)

1 on the continued operation of the diesel plant in
2 the location that it is now at. We see certainly a
3 move, and a significant move, into trying to use up
4 as much excess hydro power as possible. And we all
5 know that we have way more excess power in the
6 summertime than in the wintertime. So my question
7 to Yukon Energy is, as a Crown corporation, do you
8 only look at financial costs of a particular
9 project or do you consider environmental costs;
10 i.e., not only greenhouse production issues, but
11 pollution caused by the operation, or noise
12 pollution, that type of thing?

13 A I think I can tell you that we look at a whole
14 series of factors when we make decisions and we put
15 forward proposals. We are required, as everyone
16 else is, to follow the regulatory guidelines in
17 terms of environmental standards. We have permits
18 for the operation of our diesel plant. Those
19 permits are renewed on a regular basis.

20 I think if you will refer yourself to the
21 Plan, you will see that we don't plan, in anything
22 in this 20-year Plan -- you know, it is our
23 anticipation that we won't be using diesel for base
24 load except on the margins. And if we could find a
25 way to get hydro or some other renewable resource

26 on stream to meet those demands, we've certainly

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

289

YEC Panel
Tuck (Cr-ex.)

1 indicated, I think fairly clearly, that we would be
2 looking at those.

3 Q And the City is certainly in support of some of
4 that initiative in order to reduce the reliance on
5 the diesel plant.

6 I was just curious, in the B.C. Utilities
7 Commission decision that was made in 2003, it
8 specifically identifies or talks about costs
9 associated with operation of a diesel type of
10 turbines or generating of greenhouse gases, and
11 there is a cost perspective, and I was wondering
12 whether you have incorporated -- I know this plan
13 doesn't incorporate that, but whether, in fact, you
14 would consider that type of cost as a result of the
15 operation of a diesel plant?

16 MR. LANDRY: If I may, just to be
17 careful again, and again, not to be critical of
18 Mr. Tuck who I know is trying to get where he wants
19 to go, but the premise of that, I cannot -- I am
20 not even in a position, and I think I was at that
21 hearing, to confirm that that is the case. I just

22 want to be careful that that is not taken as a
23 given. So really, I guess, what I would ask is
24 that Mr. Tuck just ask the specific question that
25 he has, as opposed to referencing back to the B.C.
26 Utilities Commission ruling.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

290

YEC Panel
Tuck (Cr-ex.)

1 THE CHAIR: Mr. Tuck, would you
2 proceed on that basis and ask the specific
3 question, without referring back, and I concur with
4 Mr. Landry on that point.

5 Q MR. TUCK: I was just referencing
6 because I received a copy of the B.C. Utility
7 Commission report from Yukon Energy, and within
8 that they talked about clean energy and the cost of
9 environmental, so that was my question, whether in
10 fact they have included or considered that cost, or
11 a type of cost applicable to the Yukon.

12 A MR. MORRISON: Madam Chair, I think
13 just to help try to advance this, you know, at the
14 moment, and I think there was evidence yesterday,
15 or testimony at least yesterday, that indicates
16 that Yukon Energy generation is 90-some percent,

17 and I cannot remember the exact number, but -- we
18 don't have any baseline diesel generation on the
19 system. We would prefer not to use diesel, at all,
20 if we did not have to. This is not a question, in
21 some cases, of a preference. It is, in some cases,
22 a question of cost/benefit, not just the
23 environmental cost, but also the dollars and cents
24 cost. So we do look at the whole package.

25 We have taken, and I think it is illustrated
26 in this Plan that our efforts have been, or are,

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

291

YEC Panel
Tuck (Cr-ex.)

1 under this plan, to enhance the capacity of the
2 assets that we currently have, which is an economic
3 benefit, we believe quite strongly, because we are
4 utilizing the assets to their fullest extent and
5 thereby extracting the greatest amount of benefit
6 from those assets. And when we talk about using
7 those assets, we are talking about our hydro plants
8 and our transmission grids.

9 It is Yukon Energy's proposal to construct the
10 Carmacks to Stewart line, and it is for several
11 reasons. But one of those very specific reasons is
12 so that we can reduce the potential greenhouse gas

13 emissions that would be generated by the Minto
14 mine, the Carmacks-Stewart line, and that continue
15 to be generated by the community of Pelly
16 Crossing. So I think we have demonstrated, you
17 know, quite clearly, that our efforts, certainly
18 within this planning period, are designed towards
19 doing or making the best effort we can to reduce
20 greenhouse gas potentials where possible.

21 There is no potential, in my mind, Madam
22 Chair, to get rid of the diesel plant in
23 Whitehorse. It is a valuable asset that is there.
24 The best of all scenarios is that we simply
25 maintain that plant in an emergent or back-up
26 situation. And if we use it a few hours a year, at

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

292

YEC Panel
Tuck (Cr-ex.)

1 the moment, that is the best alternative we have,
2 both for ratepayers and from an environmental
3 perspective.

4 Q And I think it is great, I think it is great from a
5 greenhouse gas reduction perspective. Certainly
6 the changes that have been made already is
7 significant.

8 In specific about the diesel plant where it is
9 located in the river valley and primarily in the
10 downtown core, have there been any discussions or
11 plans to look, from an emergency measures
12 perspective, in this close proximity to the dam
13 and/or an environmental impact to the citizens who
14 live and work and visit Whitehorse? And I am
15 thinking specifically, like, in the wintertime when
16 we have air temperature inversions that quite often
17 occur, the pollution that would result as a result
18 of the use of that diesel plant in the valley. Has
19 there been any discussion about moving that plant?
20 A Well, no, we have not had any discussions about
21 moving that plant, and I would be very clear with
22 you that we have no intentions of looking at moving
23 that plant. It is a very costly effort. There's
24 22 and a half megawatts of capacity down there.
25 Would we build it there, you know, if we were
26 starting from scratch? Perhaps not. But it exists

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

293

YEC Panel
Tuck (Cr-ex.)

1 there today. And the cost of moving that plant,
2 when we don't utilize, we don't run those engines
3 very often, it is a very minimal number of hours

4 per year that they are utilized, and I do not think
5 that we could come to this Board and justify the
6 cost of moving it based on the number of hours that
7 those diesels are used on a year-in/year-out basis.

8 Q In regards to the long-term nature of this Plan,
9 like looking 20 years and beyond, has there been
10 any discussion or consideration for the concern
11 about what fuel oil prices will be and how it
12 relates -- I am specifically relating to other
13 green-type projects in relation to try and minimize
14 the operation of the diesel plant even on emergency
15 or back-up perspective?

16 A I think if you will recall, there are two pieces to
17 the plan. There is a piece about projects that
18 talk, that need to be done in the very near-term,
19 and none of those are projects that deal with the
20 increase usage of diesel in any way. In fact,
21 Aishihik, again, is a project to take diesel off
22 the margin.

23 In the future, all of the projects that we are
24 talking about looking at, in terms of future
25 planning, are all renewable, so we are not talking
26 about building any diesel where we do not have to.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 And there is no intent to run the diesel any more
2 than we absolutely have to. So I am not sure if
3 that helps you, but that is what the Plan
4 contemplates.

5 Q Okay. In the 1992 Yukon Board decision, reference
6 is made to the potential of Yukon Electrical to
7 develop a hydro plant at McIntyre Creek, or expand
8 their hydro facilities, which would work out to 6.4
9 megawatts of power according to the YUB decision.
10 And I guess the reason why it wasn't or has not
11 been expanded on is because it related to land
12 claims negotiations. Well, those are now
13 completed. And Yukon Electric, I understand, has
14 had discussions about water licence approval and
15 expanding their facilities.

16 Have there been any discussions with Yukon
17 Electric in coordination with what their plans are
18 regarding power supply, so that we don't get a
19 duplication of effort and we don't spend?

20 A Madam Chair, I want to clarify something for
21 Mr. Tuck. First of all, the McIntyre Creek project
22 is not 6.4 megawatts, it's .64 megawatts. It is a
23 very small project.

24 I have no understanding from Yukon Electric
25 that they are pursuing this project. You would
26 have to ask them that, but it is my understanding

1 they are not pursuing it at this time.

2 Q Well, I was just going by what was quoted in the
3 report so --

4 A Mr. Tuck, what I am trying to point out to you is
5 your number is wrong. It is not 6.4, it is .64.
6 It is a very small project.

7 Q Okay. It was quoted in the YUB report.

8 So granted, but it goes back to my question,
9 has there been any discussion about -- with Yukon
10 Electric -- you guys are both in the business of
11 supplying some hydro power, some power supplies,
12 and the importance of -- given that they supply
13 power to a bunch of -- about discussions with them
14 on plans, future plans?

15 A Madam Chair, I understand Mr. Tuck wasn't here
16 yesterday, we did talk about some of this, but I
17 think, just to be clear again, we have had
18 discussions with Yukon Electrical. We are aware of
19 no plans on their part to build a McIntyre Creek
20 project.

21 Q Okay. So it just says in Section 7.5.3.3.2 in the
22 YUB 1992 decision, it references 6.2 megawatts of

23 dependable power. So that is why I thought it was
24 --
25 A It is not that big of a project, I can tell you
26 that.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

296

YEC Panel
Tuck (Cr-ex.)

1 THE CHAIR: That appears to be an
2 error.
3 Q MR. TUCK: Okay, that is fine.
4 The YUB decision goes on quite a bit about
5 industrial power producers, and establishing
6 opportunities for that to occur. And if I ask you
7 a question that has already been asked, you can
8 just say it has already been asked, I am just
9 trying to emphasize, from our perspective, the
10 importance of certain issues, and I do not mean to
11 get you to repeat stuff that has already been dealt
12 with.
13 A MR. MORRISON: That is fine.
14 Q But I think, as we see more technologies and more
15 expertise occurring in the private sector in
16 regards to green power supplies, and either
17 photovoltaics or wind power, technology is evolving
18 and it is becoming much more cost-effective for

19 IPPs to be joining in. So I am just wondering,
20 have there been any discussions or opportunities
21 put out there for people to start an IPP or to be
22 an IPP?

23 A Madam Chair, when we look at IPPs -- and we talked
24 yesterday about, you know, an IPP policy, and the
25 fact that we don't have one, but at the movement,
26 Madam Chair, we have a surplus of hydro on the

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

297

YEC Panel
Tuck (Cr-ex.)

1 grid. So it would not be our intent to put forward
2 any call for people to submit proposals to us to
3 supply power because we don't need to buy any power
4 at the moment. We have enough power on the grid,
5 and both grids, Mayo-Dawson and the
6 Whitehorse-Aishihik-Faro grid.

7 We also, I can tell you, have not had anybody
8 bring forward a proposal to us, either, to build
9 any independent power project, of any kind, in any
10 formal manner whatsoever. We, from time to time,
11 get people interested in, or having ideas that they
12 may want to expand, and they certainly come in and
13 get information from us, which we provide on a

14 regular basis to individuals and corporate
15 companies who have ideas about providing power or
16 generating power. None of those ideas have ever
17 resulted in a proposal being given to us, and in
18 general, it's a question of timing and opportunity
19 being there at the same time. We don't need any
20 power right now, so we have a surplus of
21 renewable. So when do we need it? And I think we
22 have outlined very clearly in the Plan that, absent
23 mine contracts, or mine customers, we have enough
24 power for quite a while in the system that we
25 have. So it is a little bit of balancing both of
26 those, and I think at the moment we are pretty clear

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

298

YEC Panel
Tuck (Cr-ex.)

1 that, if people come to us with a concept and an
2 idea, we are prepared to discuss it with them. We
3 have no aversion and no policy that prohibits us
4 from doing that.

5 But Cam, do you want to add a little bit?

6 A MR. OSLER: Just add two things.

7 One, if you are interested in sort of a review of
8 what our thoughts have been on this matter, you can
9 look at Section 5 of the original document, the

10 January document, pages 5-36 through 38. And in
11 that, my second point is, YEC, when there was power
12 needs in the system with diesel, did set out its
13 own call for expressions of interest to all
14 parties, in 1996, for any ability for IPPs to come
15 forward anywhere in the Yukon to help generate
16 power, and it got a bunch of proposals at the
17 time. Unfortunately, all of that got supplanted by
18 the shut-down of the Faro mine early in the next
19 year.

20 Q And regarding that, and I understand that you have
21 signed, now, an agreement, or there is an agreement
22 with the Minto project, and they will be required
23 to ensure that in the -- when available -- hydro
24 power is not available, that they have to generate
25 their own power. So is there an opportunity with
26 their own -- is that correct; that when there is

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

299

YEC Panel
Tuck (Cr-ex.)

1 not availability of hydro power, that they have to
2 generate their own power on site?

3 A MR. MORRISON: Let me say it my way,
4 Madam Chair. The mine, as part of any agreement

5 that we reach with them, and we have not reached
6 any conclusive agreement with them, will be
7 required to have on-site back-up power that they
8 will be required to use in an emergency situation.

9 Q I am not talking about emergency situation, I am
10 talking about -- I mean, I certainly agree that
11 emergency situation, everybody has to be on side,
12 but I am talking about, we know that there is a
13 surplus of hydro power in the summertime and in the
14 fall. In the winter and the springtime, when water
15 levels are low, or water levels are low
16 historically, then there may be an issue, then,
17 that we don't have enough hydro power, in which
18 case, then, you may be required to activate the
19 diesel plant in Whitehorse to service the mines up
20 in --

21 A And Madam Chair, we have, in front of us, a
22 proposal to build the Aishihik Third Turbine to
23 mitigate that need to burn diesel at the margins.

24 Q Okay. So it is still the issue, it is going to
25 take a couple of years, because I think you are
26 building -- isn't it the first phase coming from

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1 Whitehorse, upwards to Minto, and not coming the
2 other way around?

3 A No, the proposal is to build the project from
4 Carmacks, north.

5 Q Right. But the surplus of power, hydro power, is
6 actually --

7 A The surplus --

8 Q -- from Mayo. Is there not --

9 A No, no.

10 Q -- surplus of power in Mayo?

11 A Madam Chair, there is a surplus of hydro on the
12 Mayo-Dawson system, and it is a small amount of
13 surplus. There is a large amount of surplus on the
14 Whitehorse-Aishihik-Faro system. We don't propose
15 to sell power to Minto mine, or any mine, including
16 Pelly Crossing, from the Mayo system. We plan to
17 use the surplus available in the
18 Whitehorse-Aishihik-Faro system.

19 Q So they are provided -- required to have their own
20 back-up power supply. So is there an IPP
21 opportunity for them to join in, and when there is
22 a shortage of hydro power or an emergency
23 situation, that you might be able to buy power from
24 them as a result of their expenditures of diesel?

25 A Well, Madam Chair, if we need to generate diesel on
26 the margins, we would buy our own diesel, we would

1 use our own diesel power, we would not need to buy
2 it from the Minto mine. So I am not sure if that
3 is the question or not, but --

4 Q Well, it was just an opportunity for an IPP, they
5 have this facility that is sitting there and if
6 they are generating -- I am not sure what the
7 excess power --

8 A But we have enough diesel in our system, we would
9 not buy it from somebody else.

10 Q But you still have to provide power and line losses
11 all the way out to their facility up in Minto,
12 right?

13 A Yes, that is true, but, you know, we would have to
14 buy it from them. We already have it. We have
15 plant in place.

16 Q And the concern that I have raised already is about
17 operating the diesel plant in Whitehorse, in the
18 river valley, more often as a result of the need to
19 supplement a shortage of hydro power?

20 A I probably get a glare from my legal counsel for
21 this, but you are saying it is better to -- it is
22 okay to burn diesel out at the Minto mine, but it
23 is not okay to burn diesel in Whitehorse.

24 Q Generally, I would think so. I mean, I'm not a --

25 but I would think so, yes.

26 So, in 1992, there was reference to the amount

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

302

YEC Panel
Tuck (Cr-ex.)

1 of peak power that we generate, in 1992, compared
2 to what, currently, the Whitehorse area requires,
3 and it has gone from 40 to 46. And so, over the
4 last 15 years, we have seen a significant increase
5 in power consumption, whereas, there has not been a
6 significant increase in population. I am not sure
7 exactly numbers, but from our perspective in '92,
8 the population is fairly similar to what it is
9 today. So what we have seen is more consumption,
10 higher consumption of power, and the Utility Board
11 decisions that were made -- identified a number of
12 recommendations, like seven or eight
13 recommendations, regarding the importance of demand
14 side management, and the need that Yukon Energy and
15 Yukon Electrical need to work together to reduce
16 requirements of people on using power, and try to
17 reduce their loading in order to avoid having to do
18 undue changes. And I am curious as to what DSM
19 programs have been undertaken, to any significant

20 degree, and do you not see a need to expand that in
21 order to meet the terms of the 1992 decision.

22 MR. LANDRY: And Madam Chair, I will
23 assume, for the purposes of the record, that it is
24 the question at the end that has to be answered,
25 without all the assumptions or preamble that went
26 with that question.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

303

YEC Panel
Tuck (Cr-ex.)

1 THE CHAIR: Mr. Tuck, would you
2 like to proceed on that basis?

3 MR. TUCK: Sure. So I am not sure
4 -- I thought it was all connected, so I am not
5 sure what you are trying to state there.

6 THE CHAIR: Would you like to
7 restate your last question, your final question,
8 possibly just for clarification, for clarification
9 purposes, unless --

10 MR. TUCK: I have to restate it?

11 MR. LANDRY: I think Mr. Morrison
12 understood the question.

13 A MR. MORRISON: I am okay. Madam
14 Chair, you know, again, from a DSM perspective, you
15 know, a major program that we have in place is our

16 secondary sales program. Major DSM program. If
17 the reference to the 1992 Board report has not
18 addressed, in the question, the fact that we have
19 -- (a), we have a surplus of hydro on the system,
20 and we had a surplus of hydro on the system at that
21 time, and we were advised by the Board, at that
22 time, not to proceed with expenditures related to
23 DSM because we had a surplus of hydro on the
24 system, so that would be my answer.

25 A MR. OSLER: And just because it
26 might come to you later, there is a second question

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

304

YEC Panel
Tuck (Cr-ex.)

1 that has been put to us by others, Yukon
2 Conservation Society, if you have a surplus of
3 hydro, why are you not at least looking at DSM for
4 this capacity shortage that we do have. If you
5 were here, we have been through the fact that we
6 have a capacity shortfall which is different than
7 an energy surplus, and we have been talking about
8 that a bit, if you look at the answer to
9 YCS-YEC-2-A2 to find out what our response was to
10 that question. So, bottom line, we have looked at

11 DSM from the point of view of implementing it for
12 helping people use surplus hydro, that is called
13 secondary sales. We have paid attention to the
14 Board's direction and common sense, that if you
15 have an energy surplus, you do not want people to
16 consume less energy at the moment because it will
17 just raise rates, and we have looked specifically
18 at the issue of, is there a DSM plan that we should
19 be thinking about to deal with the capacity
20 shortfall. And the bottom line is, it would be too
21 expensive, and there isn't a practical set of
22 options there.

23 Q Certainly I can understand that if you have a
24 surplus of hydro power, like you have had before, I
25 can understand that you do not want to spend money
26 in order to actually make less money.

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

305

YEC Panel
Tuck (Cr-ex.)

1 However, it takes time for people to change
2 the way they operate, the way the facilities they
3 operate, the mechanism, and it takes time, and you
4 cannot expect all of a sudden, I would think,
5 unless you can correct me, but you cannot expect
6 the people to, once you are in a deficit situation,

7 to get people to change their habits, because it
8 takes time and material to make those changes. So
9 I would think, in order to be proactive, you need
10 to start now, don't you think?

11 A MR. MORRISON: To start now doing
12 what?

13 Q To start, and should have been starting, doing some
14 DSM programs in order to release that. I know, I
15 can understand that your issue -- you are saying
16 secondary power, you are actually increasing power
17 consumption, not dealing with trying to reduce
18 peoples' reliance on power. With secondary power
19 sales, it is a way to increase -- it was intended
20 to increase your revenue, which was otherwise being
21 dumped down the stream, and it actually doesn't
22 work towards reducing peoples' reliance on power?

23 A MR. MORRISON: I am not sure, Madam
24 Chair, if I have a question, so if you have a
25 question, I would be happy to answer it.

26 Q So basically, so my question is, are there no plans

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

306

YEC Panel
Tuck (Cr-ex.)

1 now? You are saying that the Board has told you

2 not to spend money on DSM programs?

3 A I said to you -- Madam Chair, what I referred to
4 was in the 1992 Board -- 1993 Board Order that was
5 -- that Mr. Tuck was using. I just further
6 pointed out to him that we had been advised that
7 DSM expenditures, while we had a surplus of hydro,
8 were not a prudent expenditure on behalf of
9 ratepayers. We have no plans, at the moment, to
10 look at further DSM because, again, we still have a
11 continual surplus of hydro on the system.

12 A MR. OSLER: If I could just add one
13 thing, from the '92 experience, '92 hearing, one of
14 the things we talked about, that creates electrical
15 requirements, the long run, but doesn't make a lot
16 of sense, efficiency-wise, was electric heating,
17 particularly if we end up with diesel back on the
18 margin. Not much that Yukon Energy can do about
19 whether residential or commercial -- residential
20 people, in general, served by another utility,
21 install electric heating because it is convenient,
22 or the rates are being subsidized, or whatever.
23 Government could; it could institute ground rules.
24 Other people could. That's the type of thing that
25 10 years, 15, 20 years from now, if diesel was on
26 the margin, a lot of new electric heating would

YEC Panel
Tuck (Cr-ex.)

1 come under purview of people at this review level,
2 as to what effects it was having on overall
3 efficiency, environmental emissions, whole bunch of
4 other things. So it doesn't mean, because Yukon
5 Energy is not able, under its mandate and the
6 things it can deal with cost-effectively, to pursue
7 these measures that you are talking about right
8 now, it doesn't mean that somebody else could not
9 or should not.

10 Q I am glad you brought up the issue of electric
11 heat, because the City is actually seeing
12 commercial businesses and residential businesses
13 installing electric heat. And certainly with Yukon
14 Energy's desire or drive to make as many sales of
15 hydro power as possible to make up that shortfall,
16 certainly we are sort of seeing a repeat of the
17 electrical heat problems we had -- well, before
18 I came in the '80s. And Recommendation Number 31
19 from the Utility Board specifically says that you
20 and Yukon Electric need to take steps to reduce and
21 eliminate electric heat supply, and that is one of
22 your conditions. And certainly one of the issues
23 that I would see an Energy Solution Centre or that
24 type of DSM program that, if you had implemented
25 and expanded on, we may not have seen that issue.

26 And I was just wondering like, what steps have you,

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

308

YEC Panel
Tuck (Cr-ex.)

1 in accordance with Recommendation 31, taken to
2 ensure that electric heat is not provided?

3 A MR. MORRISON: Madam Chair, Mr. Tuck
4 is referring to customers of Yukon Electric. The
5 City of Whitehorse is served by Yukon Electric, and
6 I think he is referring to this new building that
7 is going up. If you look out the window here,
8 there is a condo unit here, and other commercial
9 buildings, that we understand are being built with
10 electric heat services in them. Those are
11 customers of Yukon Electric, you are going to have
12 to ask them.

13 I would also point out to you that the issue
14 of electric -- or the Energy Solution Centre
15 reference that you have mentioned to us is, you
16 know, if the Energy Solution Centre has programs
17 related to the reduction of electric heating, or
18 the reduction of greenhouse gases, or whatever
19 their programs are, those are their programs, and
20 you are going to have ask them those questions, but
21 that is not Yukon Energy.

22 Q I thought they reported to you?

23 A No, they report to the Department of Energy, Mines
24 and Resources, they are part of the Yukon
25 Government.

26 Q Okay. But anyways, in regards, it doesn't

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

309

YEC Panel
Tuck (Cr-ex.)

1 specifically say, it just says Recommendation 31.
2 If you read it, it says you are supposed to work
3 cooperatively with Yukon Electric to come up with
4 ways of doing that. So, basically, nothing has
5 been done on that?

6 A Madam Chair, just to be clear, these are -- this is
7 not a Yukon Energy service area, and I would not
8 presume to be telling Yukon Electric how to deal
9 with their customers in their service area.

10 Q Well, okay. As this Resource Plan comes to 20
11 years and beyond, and you spoke about an energy --
12 and I can appreciate that you said that there is an
13 energy surplus but not a capacity surplus.

14 However, in order to -- you have a wind generation
15 power.

16 A Right.

17 Q And certainly, in the long term, as ways of
18 reducing increasing capacity, or using less water,
19 or hydro power in conjunction with an operation of
20 a green power, is there not an opportunity to, in
21 the long term, expand and take advantage of changes
22 to wind power so that it can provide and meet up
23 the shortfall, in the event, to avoid the operation
24 of the diesels, even to a small degree that has
25 been mentioned before?
26 A Madam Chair, wind power provides no capacity

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

310

YEC Panel
Tuck (Cr-ex.)

1 enhancements at all. Capacity enhancements have to
2 be a plant that can be reliably turned on at the
3 time that you need the capacity. Wind power is
4 only energy. You cannot count on it. I am happy
5 to have either Mr. Campbell or even Dr. Billinton,
6 if he would like, to talk about the reliability
7 issues around wind power.

8 I have advised Mr. Tuck previously that wind
9 power is also very, very, very expensive. We
10 believe that our cost of producing a kilowatt hour
11 of wind on the Haeckel Hill wind plant is about 31
12 and a half cents a kilowatt hour. So not only is

13 it not economic, it is not reliable in terms of
14 capacity. The capacity factor with which the two
15 plants on Haeckel Hill operate is about 15 percent,
16 and I do not think that anybody wants us to take
17 the chance that the wind power is going to -- the
18 wind is going to operate if we have an emergency.
19 So, therefore, you cannot count wind as capacity,
20 it provides energy only.

21 Q And I agree. And I think I prefaced my comment
22 about that I recognize that it is not a capacity
23 provision. It is more or less the opportunity to
24 use some power, whatever is available, in order to
25 reduce the reliance on the diesel system.

26 A And Madam Chair, I think that is exactly what we do

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

311

YEC Panel
Tuck (Cr-ex.)

1 with our two plants. We have no potential new wind
2 sites advanced to a stage where we would look at
3 them in terms of bringing them on stream. We have
4 looked at a number of sites, you know, over the
5 years, but nothing that gives us any commercial
6 viability. We still are doing some work on a site
7 at Ferry Hill, which is, to put it in perspective

8 for people, is just outside of Stewart Crossing,
9 but right adjacent to the grid, the Mayo-Dawson
10 grid, and there may be, in the future, some
11 potential there. But we have no other sites in our
12 inventory that would be at a stage, or in a
13 condition, where we would think about developing
14 them.

15 Q Well, I am not sure, so can you provide that
16 information? You said it was 31 cents-per-kilowatt
17 hour, is that information that can be provided, and
18 is that something you can also compare to what it
19 operates in regards to operation of the diesel
20 plants, for example, when it runs?

21 A Madam Chair, if I could get some clarification
22 around that, I have already provided it, that is
23 the analysis that we have done, that is the cost.
24 In comparison to the diesel, diesels are virtually
25 -- you know, maybe Mr. Campbell can help me with
26 the number -- 80 or 90 percent reliable, or

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

312

YEC Panel
Tuck (Cr-ex.)

1 operating factor?

2 A MR. CAMPBELL: 90 percent.

3 A MR. MORRISON: 90 percent is the

4 operating factor that we use for a diesel plant,
5 and our experience with the Haeckel Hill plant is
6 that it is about 15 percent.

7 Q So is it a part of the cost in regards to where
8 this Haeckel Hill -- the fact that there's only two
9 windmills and the fact that the access road is not
10 all that accessible, and certainly with an
11 availability of surplus hydro power, there is not a
12 desire to keep it in operating condition?

13 A Well, Madam Chair --

14 THE CHAIR: Mr. Tuck, I think the
15 question has been answered.

16 Q Okay, that is fine. That was it. That was all of
17 my questions. Thank you.

18 THE CHAIR: Well, I note it is
19 quarter to twelve, and it is probably an
20 appropriate time to break for lunch. In that case,
21 we had talked about reconvening at 1:30, shall we
22 make that quarter after one?

23 (Proceedings adjourned at 11:50 a.m.)

24

25

26

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

INDEX OF PROCEEDINGS

Page

Preliminary matters..... 214

YEC PANEL

- David Morrison
- Cameron Osler
- Hector Campbell
- Patrick Bowman
- Roy Billinton

Further cross-exam. by Mr. Buonaguro... 226
Cross-examined by Mr. Tuck..... 285

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net

314

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

INDEX OF EXHIBITS

EXHIBIT NO. B-17:
Contracting Policies..... 216

EXHIBIT NO. B-18:
Yukon Energy's Undertaking #1..... 221

EXHIBIT NO. B-19:
Yukon Energy's Undertaking #2..... 225

EXHIBIT NO. B-20:
Yukon Energy's Undertaking #3..... 277

EXHIBIT NO. B-21:
Yukon Energy's Undertaking #4..... 281

23

24

25

26

Doug Ayers Reporting Service
(867) 667-6583
dayers@yukon.net