

1 **Ontario Power Generation Inc.:**
2 **Application for the renewal of the**
3 **Darlington Nuclear Generating**
4 **Station operating licence**

5
6 **07-H20.1 / 07-H20.1A**

7 **Oral presentation by**
8 **Ontario Power Generation Inc.**

9 **MR. MITCHELL:** Madam Chair, this is Tom
10 Mitchell, for the Record, and I just thought I would
11 briefly introduce the members of my executive team here
12 today, make a couple of brief remarks, and then turn it
13 over to Wayne.

14 I am the Chief Nuclear Officer of OPG. We
15 are pleased to appear before you today to discuss our
16 application for licence renewal of the Darlington Nuclear
17 Station.

18 In the centre of the next table is Mr.
19 Wayne Robbins. He's the Senior Vice-President at
20 Darlington.

21 And next to him is Mr. Craig Sellers who is
22 the Vice-President of Engineering and Modifications and is
23 also Ontario Power Generation's Chief Nuclear Engineer.

24 These executives directly report to me and
25 are responsible for operations in support of Darlington.

1 We note that the licence as proposed
2 contains some new conditions which have potential to
3 impact station operation and for which OPG has not had
4 time to adequately assess them.

5 In today's presentation, we will briefly
6 highlight to the Commission the performance we have
7 achieved in each safety area as shown on this slide.

8 As you will note, we have met or exceeded
9 requirements and will describe the actions being taken for
10 continuous improvement. We have built a strong safety
11 culture at Darlington.

12 Darlington was granted a five-year licence
13 in 2003. We have operated safely over this period. Our
14 ratings and safety areas have steadily improved in the
15 CNSC staff annual reports. We have operated in
16 conformance to the regulatory requirements and we are in
17 good standing with respect to payments of licence fees.

18 The operational impacts of the station on
19 the public are well understood and we have environmental
20 monitoring systems that provide information on a routine
21 basis.

22 Our management systems and compliance
23 programs continue to mature as we learn from experience.

24 We value assessments by our international
25 industry peers and were recognized in 2007 with the best

1 ever evaluation by the World Association of Nuclear
2 Operators.

3 Community relations is an active, ongoing
4 program at Darlington. Supplementing the public
5 information centre are quarterly newsletters which provide
6 a summary of the station's performance. New residents to
7 the Clarington area are informed about our station's
8 operation and the public waterfront trail via the
9 community Welcome Wagon.

10 Local officials and Council receive our
11 quarterly report cards, updates and presentations. OPG is
12 engaged in informing the public around the current
13 interest areas.

14 Public and employee safety are important to
15 all our decisions and actions at Darlington. Public dose
16 has been well below the target value of 7.5 microsieveverts
17 over the current licence period. There was no serious
18 process failure or near-misses.

19 Conventional health and safety performance
20 has improved in 2007 relative to 2006 with no lost-time
21 accidents to date and over three million hours worked
22 without a lost-time accident.

23 Improvements have been made in the
24 implementation of the radiation protection program and, as
25 a consequence, employee radiological doses have been below

1 the regulatory limits and action levels over the last
2 three years.

3 Operating performance is measured by a
4 variety of indicators. Darlington's improved force loss
5 rate is an indication of high station reliability. It's
6 currently at .53 percent. Our chemistry performance
7 indicators show good control over critical station
8 chemistry parameters.

9 We routinely complete planned outages on
10 time and meet the radiation dose targets set for those
11 outages. We benchmark in the national and international
12 industry forums on overall outage performance
13 improvements.

14 In 2003 we had in the order of 30 event-
15 free day resets and each year we reduce that number,
16 expecting to better the 2007 target of eight by year-end.

17 Another indication of positive station
18 reliability is a steady improvement in the plant condition
19 index, which is a measure of system health.

20 Following a planned outage in 2006, during
21 which some discovery issues were identified, the tritium
22 removal facility was returned to normal production. We
23 are working on corrective actions related to some recent
24 human performance events within the TRF.

25 Our quality assurance program is

1 incorporated under the CNL Expectations Charter. This
2 encompasses all aspects of operations and maintenance.

3 OPG maintains an assessment program under a
4 division called "Performance Improvement and Nuclear
5 Oversight". The Expectations Charter and the independent
6 assessment program have undergone CNSC evaluations and
7 deficiencies identified in these evaluations have been
8 corrected.

9 In the area of human performance we have
10 strengthened our governance by issuance of a standard
11 based on the Institute of Nuclear Power Operations Human
12 Performance Leadership Framework. Human performance
13 improvements have resulted in significant performance
14 gains in all aspects of operation.

15 As noted in an earlier slide, there have
16 been a three-fold improvement in our station event reset
17 metric. Human performance is given a key profile in our
18 Navigator business plan.

19 Our corrective action program relies on the
20 station condition record process to provide a consistent
21 and effective process for identifying, evaluating, and
22 correcting adverse conditions. We use a CAP Health Index
23 to track performance and they are tracked monthly.

24 The Corrective Action Review Board meets
25 biweekly to review the CAP Health Index. This index has

1 shown considerable improvement through the 2006/2007
2 period.

3 Our OPEX, or operating experience process,
4 values the experience shared by external sources and we
5 utilize this in many facets of our work; for example, pre-
6 job briefs and operational decision making.

7 Our training and qualification program
8 meets the CNSC requirements. We are on track to meet our
9 commitment on the number of certified operators in the
10 control room by July 2009. The training of new certified
11 staff and the re-qualification of existing certified staff
12 has progressed well. We have made improvements to the
13 mechanical and control maintenance training programs and
14 are re-assessing the programs in the civil maintenance
15 area.

16 We have launched a training program for new
17 engineering graduate employees in order to provide them
18 with a solid work foundation.

19 With respect to design and analysis, a
20 risk-based engineering change control process was
21 introduced in 2005. For regulatory requirements, safety
22 analysis updates were submitted. Also, OPG had initiated
23 actions to update the safety analysis with modern computer
24 codes and methods.

25 We have completed and submitted to the CNSC

1 an enhanced neutron over power, NOP analysis that takes
2 into account heat transport system aging.

3 Operational safety requirements documents
4 in support of the safe operating envelope program are
5 established and continue to be enhanced.

6 We have made improvements to the
7 operational probabilistic risk assessment process.

8 With respect to equipment maintenance, we
9 have made significant improvement in reduction of
10 maintenance backlogs. Our on-line elective maintenance
11 backlog has been reduced from over 1000 work orders per
12 unit in 2004, to nearly 400 work orders per unit in 2007.

13 Our on-line corrective maintenance backlog
14 has been reduced from over 20 work orders per unit in 2004
15 to less than 15 work orders per unit in 2007.

16 We have also initiated a focused leak
17 management program that has resulted in a 50 percent
18 reduction in the number of minor leaks since 2006.

19 A comprehensive periodic inspection program
20 has been implemented to ensure the integrity of pressure
21 boundary and fitness for service of plant systems and
22 components.

23 Since 2002, we have conducted full-length
24 inspections of selected pressure tubes across all four
25 reactors. As per the requirements of the CSA standard, a

1 fuel channel was removed for inspection in 2005.

2 Darlington is proactively replacing feeders
3 that are approaching end of life. With respect to steam
4 generators, we have performed eddy current inspections on
5 all units and have installed anti-vibration bars to
6 mitigate tube fretting.

7 In the area of equipment qualification, we
8 are currently on track to address Darlington's only C-
9 rating which is specific to implementation of the EQ
10 Program.

11 Equipment replacements identified through
12 the project are currently on track and on schedule to meet
13 the committed date of December 31st, 2010.

14 We continue to provide periodic updates to
15 the CNSC on progress towards the completion of this
16 commitment. An ongoing effort is the preparation of the
17 EQ list development packages that will provide linkage to
18 the design basis.

19 Fire protection systems and fire rescue
20 equipment have undergone significant upgrades. We
21 establish and maintain a comprehensive maintenance program
22 on fire protection equipment to be compliant with the
23 National Fire Code of Canada.

24 Halon-base compounds in fixed and portable
25 systems have been replaced with non-ozone depleting

1 substances. We have also removed a significant number of
2 temporary structures from the powerhouse.

3 For emergency preparedness, we have
4 conducted a successful drill and exercise program at
5 Darlington. We learn from each drill and upgrade our
6 instructions and procedures. We measure performance in
7 this area by using the CNSC approved indicators and
8 routinely report them. These indicators have range from
9 97 to 100 percent from 2003 to the end of June 2007.

10 No major issues have been identified by the
11 CNSC type one inspections related to the program and its
12 implementation and we have consistently received A ratings
13 in the CNSC annual industry reports during the 2003 to
14 2006 periods.

15 In the area on environmental performance,
16 Darlington has not approached a derived release limit for
17 any radionuclide or radionuclide group during the current
18 licence period.

19 In order to prevent corrosion of the boiler
20 feedwater systems, Darlington uses ammonia and hydrogen.
21 We have met the regulatory requirements on releases of
22 these substances set by the Ontario Minister of
23 Environment, the MOE. All planned discharges are reported
24 to the MOE.

25 Darlington has an excellent safety record

1 with respect to minimized spills to the environment.
2 There are no reportable spills classified as category A,
3 B, or C in 2006 and 2007. Since 2005, in response to the
4 requirements of Bill 133, we also report spills that have
5 no adverse impact on the environment. We continue to
6 successfully maintain the ISO 1401 certification for our
7 environmental management program.

8 Our radiological protection program
9 implementation has improved significantly as recognized by
10 the CNSC with an A rating.

11 Over the past three years no worker doses
12 have exceeded the regulatory limit or action level. This
13 is largely due to effective implementation of the exposure
14 control program.

15 Benchmarking against other CANDU stations
16 shows that Darlington's collective dose performance has
17 been consistently better than the median. Improvements to
18 the heat transport purification system, such as
19 optimization of flow rates and the reduction of filter
20 pore size has led to reduction and the radiation source
21 term.

22 We have also reduced advance of unplanned
23 exposures and unplanned hazards in the station. We have
24 successfully applied the ALARA principle to manage
25 radiation exposures during major planned outage projects,

1 such as boiler primary side inspections and feeder
2 inspections and replacements.

3 With respect to safeguards, Darlington has
4 met the licence conditions. We perform to the terms of
5 the Canada IAEA Agreement on the non-proliferation treaty.
6 Darlington has reviewed and adjusted its procedures to
7 meet the requirements of the IAEA additional protocol.
8 Darlington staff cooperate with the IAEA staff in the
9 installation of new surveillance equipment. We routinely
10 submitted the inventory reports, as required by
11 regulations.

12 The annual physical inventory as conducted
13 by the IAEA have shown Darlington to be in compliance with
14 no discrepancies observed.

15 Madam Chair and Commissioners, we
16 respectfully state that OPG has demonstrated it is
17 qualified to operate Darlington NGS and OPG continues to
18 make the necessary provisions to meet the requirements of
19 the *Nuclear Safety and Control Act*.

20 In the next five years Darlington will be
21 building on this success and we will continue to focus on
22 improving material condition, the reliability of its
23 operating units, meeting its commitments and on a strong
24 safety performance.

25 Thank you.

1 **THE CHAIRPERSON:** Thank you.

2 I am now going to move to the presentation
3 by CNSC staff, as outlined in CMDs 07-H20, 07-H20.B and
4 I'm going to turn it over to the new Director General in
5 charge of this area, Mr. Tom Viglasky. The floor is
6 yours, sir.

7

8 **07-H20 / 07-H20.B**

9 **Oral presentation by**

10 **CNSC Staff**

11

12 **MR. VIGLASKY:** Thank you very much. Good
13 afternoon, Madam President and Members of the Commission.

14 For the record, I'm Tom Viglasky, Director
15 General of the Directorate of Power Reactor Regulation.

16 Today we are going to present CMD 07-H20 to
17 the Commission for its decision concerning Ontario Power
18 Generation's application for the renewal of the Darlington
19 Nuclear Generating Station Operating Licence.

20 The current licence for Darlington will
21 expire on February 29, 2008.

22 I will now turn over the presentation to
23 Mr. Garry Schwarz, Director of the Darlington Regulatory
24 Program Division.

25 Thank you.

1 **MR. SCHWARZ:** Good afternoon, Madam
2 President, Members of the Commission.

3 For the record, my name is Garry Schwarz.
4 I am the Director of the Darlington Regulatory Program
5 Division at the CNSC.

6 Present with me today are representatives
7 of all of the CNSC divisions that contributed to the CMD,
8 and have responsibility for some aspects of regulatory
9 oversight of the station.

10 This presentation gives a brief summary of
11 the staff's review of the licensee's renewal application
12 and of the staff's view of the safety performance of the
13 Darlington Nuclear Generating Station over the current
14 licence period.

15 We will also present staff's overall
16 recommendations and conclusions. As well, information on
17 proposed changes to the Darlington Power Reactor Operating
18 License will be presented.

19 On March 29th, 2007 Ontario Power
20 Generation applied to the Commission to have its Nuclear
21 Power Reactor Operating Licence for the Darlington Nuclear
22 Generating Station renewed for a period of five years
23 until February 28th, 2013. CNSC staff has reviewed the
24 application and associated follow-up correspondence and
25 concludes that the application contains all of the

1 information prescribed by the General Nuclear Safety and
2 Control Regulations and the Class 1 Nuclear Facility
3 Regulations.

4 It also contains additional information
5 requested by CNSC staff on operating plans including
6 safety improvement plans for the proposed licensing
7 period. CNSC staff considers that OPG has operated the
8 Darlington Nuclear Generating Station safely during the
9 current licensing period. There have been no serious
10 process failures. The availability of special safety
11 systems met CNSC requirements and doses to workers and
12 releases of nuclear and hazardous substances from station
13 operation were well below regulatory limits. Risk to the
14 public and to workers has been kept low and in staff's
15 view is likely to remain low over the recommended
16 licensing period.

17 CNSC staff rates OPG's overall performance
18 at the Darlington Nuclear Generating Station as "B", meets
19 requirements. This position was arrived at after
20 considering each of the nine safety areas and the
21 importance of the associated programs to overall
22 performance. The next slide shows the ratings for each of
23 these safety areas excluding nuclear security, as it is
24 protected information, as well as their sub-element
25 ratings.

1 As previously stated, there are nine safety
2 areas that cover station performance; note that the
3 nuclear security safety area ratings are not shown as this
4 is protected information. All safety areas shown here are
5 rated at "B" or higher for both the programs and the
6 implementation of the programs.

7 First, I will discuss the safety areas that
8 have exceeded our expectations. The two safety areas that
9 continue to receive "A" ratings from staff are radiation
10 protection and emergency preparedness. Although the
11 Radiation Protection Program rating dropped from "A" to
12 "B" due to the need for some improvements, implementation
13 continues to receive an "A" rating based on findings of
14 best industry practices in some areas, and a pro-active
15 approach to radiation protection in general.

16 The emergency preparedness safety area
17 continues to receive "A" ratings for both the program and
18 its implementation, as the licensee has consistently met
19 the expectations for the criteria from the CNSC regulatory
20 guide G-225 and in some cases exceeded expectations. The
21 first four safety areas each contain several sub-elements
22 which are shown in the next few slides.

23 Over the licensing period the performance
24 assurance safety area sub-elements; quality management,
25 human factors and training, examination and certification,

1 have all improved from a "C" rating in implementation to
2 the current "B" ratings. These improvements have been
3 communicated to the Commission through the annual CNSC
4 staff report on the safety performance of the Canadian
5 nuclear industry.

6 Now, trending in the safety analysis sub-
7 element of the design and safety analysis safety area has
8 been deteriorating. The reason behind this trend will be
9 discussed in more detail later on in this presentation.
10 Equipment qualification, which is a sub-element of the
11 equipment fitness for service safety area, continues to be
12 rated at "C". This is due to the lack of full
13 implementation of the requirements necessary to
14 demonstrate that equipment required to operate under
15 extreme environmental conditions resulting from design-
16 basis accidents is qualified. However, the licensee is
17 making good progress in resolving the issue and the trend
18 is considered to be improving.

19 More information is presented under the
20 next slide.

21 In summary, CNSC staff is pleased with
22 Darlington's safety performance, but there are some safety
23 issues that we wish to bring to your attention, and these
24 are discussed under the next slides.

25 Now, as indicated in the previous slide the

1 qualification of equipment for harsh environment
2 conditions, also referred to as the environmental
3 qualification of equipment, continues to be an issue at
4 Darlington. A large volume of work has already been done,
5 but given that most of the work must be done during
6 planned outages, OPG's target date for completion of all
7 activities is December 31, 2010.

8 CNSC staff concludes that the licensee has
9 made considerable progress in identifying and resolving
10 some of the outstanding issues, but the implementation and
11 sustaining aspects of the program are still evolving and
12 have not yet met requirements.

13 As mentioned previously, the safety
14 analysis sub-element of the design and analysis safety
15 area has been given a "deteriorating" indicator. The
16 following are the main issues contributing to this
17 indicator: Update of the safety report accident analysis,
18 large loss of coolant accident safety margins and impact
19 of plant aging on the safety analysis.

20 Since the initial safety analysis was
21 performed on Darlington the standards for the conduct of
22 analysis have undergone significant development. A re-
23 examination of the safety analysis early this year by CNSC
24 staff against current criteria revealed a number of
25 shortcomings with these analyses, such as the use of

1 computational tools which have not been validated.

2 CNSC staff concluded that although the
3 current safety case for Darlington is not in question at
4 this time, due to the conservatisms used in a number of
5 parameters such as fuel bundle power and reactor channel
6 power limits, the existing safety margins and analysis
7 results need to be confirmed. CNSC staff has written to
8 the licensee on the issue and held several meetings with
9 the objective of reaching agreement on timelines and
10 milestones for this work, which would achieve confirmation
11 within a reasonable time frame. It is CNSC staff's
12 objective to have a schedule and milestones established by
13 the end of this year.

14 The original safety analysis in support of
15 the initial operating license for the plant had a certain
16 level of conservatism built in to the performance of these
17 analyses. Now, since then, a number of discoveries have
18 resulted in a significant decrease in the safety margins
19 for the large loss-of-coolant accident analysis. In
20 response, OPG has initiated the Large Break LOCA Margin
21 Restoration Program. Although OPG believes that the
22 existing margins remain adequate for continued safe
23 operation, OPG recognizes that not much margin remains to
24 accommodate any further adverse discovery issues. OPG is
25 confident that these margins could be significantly

1 increased through improvements to safety analysis
2 methodologies and code validations, as well as through the
3 use of risk-informed decision-making.

4 CNSC staff also believes that current
5 operation is safe but remains concerned that further
6 erosion of the safety margins could arise from
7 consideration of effects such as the impact of plant
8 aging. In CNSC staff's opinion, the safety margins need
9 to be improved in a timely manner.

10 Many activities have been undertaken by OPG
11 since the margin restoration program began. In response
12 to a request by CNSC staff, OPG has committed to provide a
13 detailed update for all activities of the margin
14 restoration project by the end of this year. CNSC staff
15 proposes to report back to the Commission on progress on
16 this issue through the annual CNSC staff report for 2007,
17 on the safety performance of the Canadian nuclear power
18 industry.

19 Darlington is the youngest member of the
20 operating CANDU reactor family in Canada. However, it
21 too is now suffering from the effects of aging of plant
22 components. The extent of aging is such that it could now
23 impact the effectiveness of the special safety systems; in
24 particular the shutdown systems, to cope with certain
25 design-basis events.

1 To evaluate the impact of aging on the
2 neutron overpower protection trips of the shutdown
3 systems, OPG and Bruce Power have developed a new analysis
4 methodology. This has been used to assess the impact of
5 aging on the Darlington neutron overpower trip coverage.
6 According to this analysis, the safety margin is such that
7 current installed trip set points will remain effective
8 for several years. CNSC staff will be conducting a
9 comprehensive review of this new neutron overpower
10 analysis methodology which will include among other
11 things, an assessment of how the impact of aging on the
12 heat transport system is being addressed.

13 Recently, a CNSC staff screening review
14 report has been completed and sent to OPG for comment.
15 The review, whose main focus was certain probabilistic
16 aspects of the new methodology, identified a number of
17 issues that require further examination and information.
18 In order to better understand the basis of the calculated
19 safety margins, and to determine the extent to which it
20 can be credited, CNSC staff has requested OPG to provide
21 additional information on the new analysis by the end of
22 November of this year. Looking ahead, there are a number
23 of significant activities expected over the proposed
24 licensing period of five years. Some examples are vacuum
25 building outage in 2009 to facilitate its inspection and

1 testing. The last such outage was held in 1997.

2 Under aging management, reactor feeder
3 replacements is necessary to ensure that feeder thinning
4 does not lead to premature end of life for reactor units,
5 and moving unit outages to a three-year interval to
6 optimize maintenance activities. Looking beyond 2013
7 refurbishment of units is currently predicted to start in
8 2018.

9 Application has been received from OPG for
10 a site preparation licence for new reactors on the
11 Darlington site.

12 And now to summarize CNSC staff
13 conclusions:

14 OPG's application for renewal of the
15 Darlington power reactor operating licence meets the
16 requirements of the *Nuclear Safety and Control Act* and its
17 regulations. In light of its performance during the
18 current licensing period, as well as the acceptability of
19 its programs and planned improvement activities during the
20 proposed licensing period, CNSC staff concludes that OPG
21 is qualified to operate the Darlington Nuclear Generating
22 Station and will make adequate provision for the
23 protection of the environment, the health and safety of
24 persons, and the maintenance of national security and
25 measures required to implement international obligations

1 to which Canada has agreed.

2 CNSC staff recommends that the Commission
3 renew, pursuant to section 24 of the *Nuclear Safety and*
4 *Control Act* the Power Reactor Operating Licence 13.00/2013
5 to Ontario Power Generation for the Darlington Nuclear
6 Generating Station for a period of five years until
7 February 28th, 2013.

8 This five-year licensing period meets the
9 criteria as defined in CMD 02-M12.

10 Now, I would like to talk about the
11 proposed licence for Darlington.

12 The initial proposed licence was attached
13 to CMD 07-H20. Subsequently, additional refinements have
14 been made to the licence to clarify certain regulatory
15 oversight provisions. These are contained in the updated
16 licence attached to CMD 07-H20.B. Also provided in CMD
17 H20.B is information on the rationale, regulatory
18 benefits, and administrative processes pertaining to the
19 new licence conditions.

20 CNSC staff is of the view that the power
21 reactor operating licences need to be reformed to clarify
22 and solidify requirements, reduce redundancy, achieve
23 consistency, and improve regulatory oversight and
24 verification.

25 CNSC staff is using the renewal of the

1 Darlington operating licence to introduce these changes.
2 The proposed changes are also in line with the
3 Commission's strategic direction to adopt international
4 practice. Some of the proposed changes also provide
5 assurance that the management and operation of the
6 facility will be in accordance with the licensee's
7 application for licence renewal.

8 It is through this application that the
9 licensee demonstrates to the Commission that it meets
10 section 24(4)(a) and (b) of the *Nuclear Safety and Control*
11 *Act*; namely, that the licensee a) is qualified to carry on
12 the activity that the licence will authorize and; b) will
13 in carrying on that activity make adequate provision for
14 the protection of the environment, the health and safety
15 of persons, and the maintenance of national security and
16 measures required to implement international obligations
17 to which Canada has agreed.

18 Since the application is the basis
19 supporting the licence issued by the Commission, it is
20 important that this basis be maintained throughout the
21 life of the licence.

22 The changes proposed to the licence can be
23 summarized under the three categories given on this slide.

24 The first category refers to previous
25 wording and practices which suggested that power reactor

1 operator licences could be amended by designated officers.
2 Such amendment practices are not in compliance with the
3 *Nuclear Safety and Control Act* and have been removed.

4 The second category refers to specific
5 licence clauses which have been amended to clarify CNSC
6 requirements. For example, changes to some documents
7 referenced in the current licence do not require the
8 approval of the Commission. This led to confusion and has
9 been clarified in the new licence by removal of any such
10 documents so that any changes to any of the appendices now
11 require the approval of the Commission.

12 The third category refers to controls on
13 licensing documents to improve regulatory oversight and
14 risk informed regulation. The next slide contains
15 examples in these categories.

16 Condition 1.2: OPG's licence renewal
17 application refers to OPG's nuclear charter which in
18 conjunction with the reference documents under the
19 governing document framework of the charter establishes
20 OPG's overall quality program that governs the operation
21 of its facilities. These documents ensure among other
22 things that activities affecting safety-related systems,
23 structures, and components are performed in accordance
24 with applicable regulations and standards and are planned
25 and controlled to maintain plant configuration within the

1 design basis for the plant.

2 The Commission licenses OPG's facilities on
3 the basis that they will be managed and operated in
4 accordance with the documents in this framework. These
5 are primarily program documents. To ensure that this
6 remains valid for the period of the licence, condition 1.2
7 has been added so that the CNSC will be given notification
8 of any changes to these documents prior to implementation.
9 This allows time for CNSC intervention if it appears that
10 a change may result in a deviation from the original
11 application to the extent that the basis on which the
12 licence was issued is no longer valid.

13 Condition 2.1: OPG's licence renewal
14 application includes a detailed organizational structure,
15 role documents for senior management positions and
16 staffing levels for Darlington Nuclear Generating Station.
17 This information demonstrates compliance with the general
18 regulations, section 3(1)(k) and 12(1)(a), whose purpose
19 is to establish that the licensee has the organization and
20 staff necessary to operate the facility safely. This is a
21 key element of the licensing basis for the plant and
22 therefore the CNSC must perform sufficient regulatory
23 oversight to give reasonable assurance that this aspect of
24 the licensing basis is being maintained.

25 CNSC staff believes that notification prior

1 to implementation of major organizational changes, prior
2 notification of changes to the role documents for the more
3 senior management positions, and an annual compilation of
4 other organizational changes carried out throughout the
5 year including an update of the detailed organizational
6 structure will be sufficient to accomplish this. This
7 will allow the removal of specific management role
8 documents listed in Appendix B in the current licence
9 which will simplify administration of this aspect of the
10 licence.

11 And condition 3.4: Part A of condition 3.4
12 requires the Licensee to obtain CNSC approval prior to
13 restarting a reactor following an event which cannot be
14 discounted as a serious process failure; an event which in
15 the absence of shutdown system action could result in
16 systematic fuel failures. Such events are infrequent but
17 serious in nature because safety system intervention is
18 required to ensure reactor protection and public safety.
19 It is important that such events are properly analysed and
20 the causes understood and satisfactorily addressed before
21 the reactor is restarted.

22 To provide regulatory oversight
23 commensurate with the risk significance of such events,
24 Part A has been added which requires CNSA approval to
25 restart the reactor following such an occurrence.

1 Part B of this condition 3.4 addresses
2 regularly planned outages involving significant inspection
3 and repairs to; one, confirm the status of systems
4 important to safety; two, carryout such repairs as
5 necessary to restore the reactor to a state which permits
6 it to be operated safely for another operating cycle.

7 It is important to ensure that licensee
8 undertakings of regulatory requirements are carried out
9 and that these outages have adequate scope to ensure the
10 continued safe operation of the reactor.

11 To provide regulatory certainty regarding
12 these activities, Part B has been added which requires
13 CNSC approval to restart following regularly planned
14 outages.

15 In conclusion, CNSC staff feels that these
16 proposed changes will enhance the transparency,
17 predictability and clarity of the application of the
18 licence while maintaining adequate regulatory oversight of
19 licensed activities within the mandate of the CNSC.

20 Several licence conditions contain approval
21 of the Commission or a person authorized by the
22 Commission. CMD 07-H20.B gives recommendations on the
23 CNSC staff positions to be authorized by the Commission.
24 These are consistent with the positions listed in CMD 00-
25 M18 and as reflected by the current CNSC organizational

1 structure.

2 Consultations are continuing with the
3 licensee regarding the proposed licence. We expect some
4 changes to be made to bring further clarity to the licence
5 conditions, and these will be presented to the Commission
6 for Day Two.

7 And this concludes CNSC's staff
8 presentation. I now turn the microphone back to Mr.
9 Viglasky.

10 **MR. VIGLASKY:** Thank you.

11 Madam Chair, that concludes our
12 presentation. Staff is available to clarify any issues
13 and to answer any Commission questions.

14 Thank you.

15 **THE CHAIRPERSON:** Thank you.

16 The first question that I am going to ask
17 Mr. Robbins is five years ago when this licence was given
18 you weren't the person in charge of this facility. And so
19 it's important for the Commission to understand as the
20 person who has the responsibility for the facility, what
21 is your vision of the safety culture that you wish to have
22 in this facility?

23 **MR. ROBBINS:** Wayne Robbins, for the
24 record.

25 We value a very strong safety culture at

1 Darlington. In fact, we have several programs in place to
2 enhance our safety culture. We have evidence of a very
3 strong safety culture at Darlington. We've had a safety
4 culture survey. We have people routinely report station
5 condition records. They self report. We have management
6 oversight in the field, and our program is set in place to
7 build on that and enhance that over the next five years.

8 We are a very strong advocate of management
9 presence in the field to interact with our staff, to
10 understand our staff's concerns and really build on that
11 success.

12 **THE CHAIRPERSON:** So could I understand the
13 word "I" is there with the "we"?

14 **MR. ROBBINS:** Wayne Robbins.

15 That is correct. I am personally involved
16 in this. I'm in the field myself just about every day.

17 I interact a lot with the staff.

18 **THE CHAIRPERSON:** Thank you. We'll start
19 with the questions from Commission Members. I will turn
20 to Dr. Barnes.

21 **MR. BARNES:** Thank you, Madam Chair.

22 Just so I understand the process here, and
23 I would like to ask staff. You introduced the
24 supplementary information in CMD 07-H20.B, which includes
25 a lot of the information on the new licence conditions and

1 Commission today for a five-year licence. I recognize
2 it's still Day One of a two-day meeting, but the licence
3 conditions are essentially a very important part,
4 obviously, of the document. I don't understand why the
5 process would not have been more complete such that you
6 would have had this explanation in your first document 07-
7 H20.

8 **MR. VIGLASKY:** I agree with your criticism,
9 and I accept the criticism.

10 We believe that it was opportune for us to
11 make these changes to the Darlington licence at this time.
12 To delay making these changes until later would virtually
13 skip a five-year period for the Darlington licence, and we
14 thought it was more opportune to go in at this time and
15 make the necessary changes in the last -- over the last
16 three weeks and between now and Day Two.

17 **MR. BARNES:** Two other follow-up questions
18 on this point: You have given a number of examples in
19 your formal presentation here.

20 Could I ask if the ones that were used as
21 examples were the most significant ones or just a
22 representative set or how did you choose those particular
23 four or five examples compared to quite a lot in the
24 document?

25 **MR. VIGLASKY:** Garry, can you take that,

1 please?

2 **MR. SCHWARZ:** Garry Schwarz for the record.

3 Yes, the ones that we put in the
4 supplementary CMD were what we consider to be the most
5 significant ones and the most contentious, if you want to
6 put that way.

7 **MR. BARNES:** And so if I turn to OPG, the
8 document that we are referring to, which is H20.B, has a
9 date on it or at least a signature date of the 25th of
10 October. Could I ask when it was that you received this
11 document?

12 The date on the first page is the 1st of
13 November, which of course is today, unless it's the day
14 that it's being heard, but when did you receive this
15 information?

16 **MR. ROBBINS:** Wayne Robbins for the record.

17 It was shortly after that, of the 25th that
18 we got notice of this information.

19 **MR. BARNES:** And so your point is that you
20 have not had adequate time to review these? Could you put
21 that in the context of the dialogue that Mr. Viglasky has
22 been mentioning of a dialogue over three or four weeks?

23 Were these licence conditions significantly
24 new and a surprise to you, or could you see these
25 developing over the dialogue over the last month or so and

1 why has it -- could you explain why the intervening time
2 since about the 25th, 26th or whenever has not been enough
3 for you to respond today in Day One?

4 **MR. ROBBINS:** Wayne Robbins, for the
5 record.

6 We understand that CNSC has authority to
7 introduce new licence conditions. We also understand CNSC
8 is driving towards international practices. We expected
9 some new conditions such as S-98 and S-210 but the other
10 conditions in the licence were a surprise to us; things
11 like the control over program documents. Organization and
12 the approval of a restart were unexpected.

13 Our ability to comply with the new legal
14 requirements is determined by the clarity of the new
15 requirements. And when the licence -- the new licence is
16 issued March 28th, we have to abide by that. We were
17 consulted very late and the changes to some of the licence
18 conditions appear not to be finalized. The rationale and
19 the need for these conditions at Darlington still remain
20 unclear.

21 We are concerned that there is a lack of
22 clarity of process through the CNSC with the use of --
23 especially the given -- the restart process. Restarting a
24 reactor is a very complicated process.

25 The formal notifications of our program

1 documents and the organizational changes -- that will
2 increase the transactions between OPG and the CNSC.

3 We take compliance very seriously, and the
4 clarity requirements is a cornerstone of implementation
5 and such requirements will take more investigation by us
6 to understand them.

7 **MR. BARNES:** Day Two is on January the 10th
8 and part of the role and responsibilities of the
9 Commission on Day One is to identify with the licensee and
10 with staff what are the issues that need to be brought
11 forward on Day Two and make that evident for the potential
12 intervenors here.

13 So would you anticipate that there was
14 sufficient time to have appropriate dialogue with staff so
15 that you would present to the Commission on January the
16 10th your more detailed comments, or that you think you
17 would have arrived at some understanding with staff, some
18 acceptability or definite unacceptability of some of these
19 licences? Is there enough time in the sort of two months
20 there?

21 **DR. ROBBINS:** Wayne Robbins for the record.

22 The conditions are substantial, the
23 changes. I'm not certain about the timeframe. We will
24 certainly work with the CNSC staff as much as we can in
25 that period, but to fully understand how we would

1 implement these substantial changes, it may be a challenge
2 in that period of time.

3 **MEMBER BARNES:** I notice that you made
4 reference to staff trying to achieve international
5 standards, but you also use that in your own presentation
6 with a WANO reference, so I presume this would not
7 necessarily be a surprise to you -- staff's view on that.

8 **DR. ROBBINS:** Wayne Robbins for the record.
9 We do work a lot -- we work through WANO to
10 get a lot of our benchmarking and operating experience in
11 the industry. They're our connection around the world.
12 Not all these conditions are uniform throughout the world.

13 **MEMBER BARNES:** You've addressed, if a
14 little obliquely, the fact that Darlington, although the
15 youngest, is now beginning to age somewhat, and that's
16 referred to in a number of the specific sections, but
17 before I get into, say, one or two of those, could you
18 give me an idea of when you would anticipate the
19 Darlington Nuclear Plant going through the kind of
20 refurbishment that Point Lepreau is going through for
21 example? How far along are you before you reach that kind
22 of major refurbishment?

23 **DR. ROBBINS:** For the record, Wayne
24 Robbins.

25 Our estimate right now with the status of

1 the equipment and our engineering assessments, it's 2018.
2 So it's past the licence period.

3 **MEMBER BARNES:** Nevertheless, a decade,
4 which gives you an opportunity to plan and so in the
5 context of President Keene's comment to you as someone
6 relatively new in the position and knowing the kind of
7 situation that's been developed at Point Lepreau where
8 some of the need to refurbish came about because of
9 significant failures in the feeder pipes and so on, how
10 would you see restructuring the organization or the
11 testing within Darlington to give, in a sense, a decade of
12 closer analysis, and re-profiling your staff resources to
13 make sure that the refurbishment is done in a timely
14 manner and a most efficient manner, and getting working
15 with staff in this regard?

16 **DR. ROBBINS:** Wayne Robbins for the record.

17 We have an integrated aging management
18 program. We've actually started looking at that now. We
19 have a stratum for managing the loop, and looking at
20 especially heat transport system aging.

21 We are tracking the industry. We are
22 observing it very closely with utilities like Point
23 Lepreau. We are doing feeder pipe inspection programs, we
24 do them every outage. In fact, the current outage we're
25 in, we're doing feeder pipe inspections on thickness. We

1 also do pressure tube inspections and extensive boiler
2 inspections. We will be starting a plant condition
3 assessment program next year as a prereq to look at our
4 refurbishing decisions.

5 **MEMBER BARNES:** I was trying to find out a
6 little bit more information on that, for example, on the
7 reactor feeder thinning issues which you describe on page
8 69 of 151 of your report, and staff on their page 7
9 3.4.2.3 on feeder pipe aging management. So you did
10 indicate the kind of process, but you didn't indicate in a
11 sense the degree of thinning that you've been observing.
12 Could you quantify how much thinning has actually been
13 observed?

14 **DR. ROBBINS:** I'll turn it over to Craig
15 Sellers to answer that -- thinning mechanisms that we've
16 seen in the plant? Wayne Robbins.

17 **MR. SELLERS:** For the record, Craig
18 Sellers.

19 We've seen thinning at elbows. We've seen
20 thinning around the Grayloc weld region and we --
21 historically we've looked at about 100 micrometers per
22 year. We do have online thickness monitoring on some of
23 the Grayloc locations. They're coming in at approximately
24 40 to 60 micrometres per year. Every outage, we go in and
25 we look at the feeder thickness measurements. We

1 determine whether we have adequacy for the next operating
2 interval; we are on a three-year operating interval
3 between outages at Darlington. If we can't meet that
4 operating interval, we either replace the feeder or do
5 stress analysis on all those particular locations.

6 **MEMBER BARNES:** I think you gave that in
7 the rate of loss per year, but in terms of the percent of
8 the wall thickness that's gone, could you express it in
9 that value, approximately?

10 **MR. SELLERS:** Craig Sellers for the record.

11 All feeder measurements that we take
12 currently today and in outage periods, all are above
13 pressure boundary minimum thickness and will be above
14 pressure boundary minimum thickness for the operating
15 interval.

16 **MEMBER BARNES:** Thank you.

17 **THE CHAIRPERSON:** I'd just like to clarify
18 a bit of this discussion on licences. It's the Commission
19 who decides what the licence will be. It's not going to
20 be based on any kind of group-think or a consensus between
21 the staff and OPG, so it would be wrong to leave the
22 impression -- and certainly I don't think intervenors
23 would be very happy to think that that's how it works.

24 The Commission will decide what's in the
25 licence and so I think it's going to be incumbent upon OPG

1 and the staff to discuss the issues. It is the staff who
2 recommends to the Commission what the licence looks like -
3 - it's not a joint recommendation, and that if there are
4 areas where there is a difference, I think we'll want to
5 have that pointed out to us clearly before Day Two; it's
6 not an option for Day Two. So we will have those
7 discussions and then the Commission will decide itself on
8 what basis it will make the recommendation.

9 The Commission understands very clearly
10 that what is done in this licence has implications
11 broadly. We understand that, and so we will accept
12 interventions from other operators if they wish to make a
13 comment on that because we think it's a major change.

14 We would like to make it clear it's not
15 just the staff who believe in international standards.
16 In the minutes of the last meeting of the Commission where
17 we discussed the approach of the Commission to regulatory
18 standards, the Commission, I think, made it clear in our
19 record of decision from that meeting that the Commission
20 accepts that this an international industry where
21 international safety is of great importance. So,
22 therefore, it's not the staff who have made this clear, it
23 is the Commission who's made it clear as to how we have
24 to, where appropriate and where possible -- and in fact
25 it's the Government of Canada who has said that under the

1 regulatory streamlining exercise that all regulatory
2 agencies of the Government of Canada must pay attention to
3 international standards when it's setting regulatory
4 requirements.

5 So I just thought there was some clarity
6 necessary in putting this forward.

7 May I turn to Mr. Graham?

8 **MEMBER GRAHAM:** Thank you, Madam Chair.

9 Some of those discussions have been covered
10 by Dr. Barnes, but two questions I have to start off with,
11 and first is the -- and the CNSC staff, you're
12 recommending a five-year licence. If I recall, I think
13 the mid-term last time was incorporated into annual
14 reports and so on. How do you propose, or how do you --
15 when are you proposing to address mid-term or near mid-
16 term review in this licence process?

17 **MR. SCHWARZ:** Gary Schwarz for the record.

18 I would suggest -- respectfully suggest
19 that the issue of the mid-term is really up to the
20 Commission, but we normally will put into the -- it is our
21 intention to include in the annual reviews, any
22 information pertaining to any commitments or any actions
23 that have resulted from the Commission meetings.

24 For example, in the one case, we stated
25 that we would update the Commission through the annual

1 reviews on a particular analysis issue and we will of
2 course be doing that. So we will certainly undertake to
3 update the Commission on anything that is identified here
4 as going forward, through the annual industry reports.

5 **MEMBER GRAHAM:** Thank you.

6 Another question I have, Madam Chair, with
7 regard -- and this is directed to OPG -- a recent press
8 article or press article sometime back, I guess it was
9 last spring in which -- I was reviewing it, in which one
10 of the VPs of OPG suggested that OPG was facing a major
11 worker crunch.

12 And I would like to know, first of all,
13 roughly, what is the average age of workers at Darlington
14 and, also, is this something that we should be concerned
15 about over the next five-year licence or the term of the
16 next year's -- next licensing period?

17 **MR. ROBBINS:** Wayne Robbins, for the
18 record.

19 Demographics is a serious issue that we are
20 concerned about at OPG. Mr. Graham, for the age, I can't
21 give you the specific age, but I believe it's around 47 or
22 48 years of age.

23 But we do have a very aggressive
24 apprenticeship program right now. We're hiring a lot of
25 young staff in to fill our maintenance trades, especially

1 control, mechanical and civil, as well as we have a very
2 aggressive operator training program to get them in to
3 learn the skills. Knowledge, retention and transfer are a
4 big concern to us and we put a lot of focus in that.

5 As you saw in my presentation, we're also
6 hiring engineering staff. We're getting engineering staff
7 through the door to get them up to speed on the knowledge
8 of -- especially in their trade of knowledge retention.
9 So demographics is a huge issue for us and we are
10 concerned about it, but we are planning for it.

11 **MEMBER GRAHAM:** You don't -- in other
12 words, what you're saying is for this licensing period
13 coming, you don't foresee any major problem at having
14 sufficient staff to operate the plant in a safety way or
15 at the levels that are required by CNSC?

16 **MR. ROBBINS:** Wayne Robbins, for the
17 record.

18 I do not see a problem in the next five
19 years of staffing to safely operate our plant. Safe
20 operation is paramount to us and we will maintain that.

21 **MEMBER GRAHAM:** Does CNSC staff have any
22 comments with regard to aging of staff or demographics or
23 with regard to the retention of workers within this
24 licensing period for this licensee? Have you flagged any
25 concerns with regard to this?

1 **MR. SCHWARZ:** Garry Schwarz, for the
2 record.

3 We have indeed looked at the same issue and
4 we have determined, after our review of the different
5 programs that the licensee has in place to address this
6 particular issue, that the licensee is adequately
7 addressing the issue and there should be no problem over
8 the next licensing period with respect to having properly
9 and qualified staff -- adequate, qualified staff available
10 to operate the facility.

11 **MEMBER GRAHAM:** Thank you.

12 In CMD H-20, which was prepared by CNSC
13 staff, starting on page 33, under 3.3.1 Safety Analysis,
14 this is trending downward and comments by CNSC staff, I
15 believe -- and it goes on, the very last paragraph in
16 which:

17 "Long-term safety operation of DNGS
18 are generally not fully developed."

19 My question -- and there are about five
20 issues -- about five instances from page 34 to page 48 in
21 which there are negative observations. And my question to
22 OPG would be will you be reporting on these comments in a
23 more detailed manner on Day Two? And I would start with
24 the 3.3.1 which is the Safety Analysis, and then the next
25 one, of course, is 3.3.1.1, which is Shutdown System's

1 Effectiveness, and so on. There are -- I can outline the
2 five that I'm referring to, but they carry on from page 34
3 to 48 and they focus in on the need for resolve.

4 So to OPG.

5 **MR. ROBBINS:** Wayne Robbins for the record.

6 Yes, we will be addressing the issues. I
7 just want to reassure that Darlington is safe. We have a
8 sound safety analysis. We are following the safety report
9 updates. We are in discussions with CNSC staff on things
10 like a transport system, aging, and new analysis as it
11 arises, and we are following the international operating
12 experience. So we will address these issues as we go
13 forward.

14 **MEMBER GRAHAM:** Thank you.

15 And as I say, there were five different
16 issues. A third one was on 3.3.1.4, Safety Report Update,
17 and it says:

18 "CNSC staff conclude that the above
19 criteria which was listed just above
20 on that have not been met for the
21 majority of the safety analysis."

22 So that again is another one that I would
23 like further -- we would like further specifics on on Day
24 Two. And we've heard from OPG. Has CNSC staff anything
25 further to comment on those four or five issues that I'm

1 referring to on those pages that I referred to?

2 **MR. VIGLASKY:** I would like Dave Newland to
3 respond to this. Thank you.

4 **MR. NEWLAND:** For the record, Dave Newland.
5 I would first just like to reiterate
6 comments made by Mr. Schwarz that we're not questioning
7 the safety case of Darlington at this point. We gave it a
8 B rating because we think it's B-rated.

9 However, we've noticed throughout various
10 programs such as the Safety Analysis Report, Update
11 Program, the fact that there are a number of outstanding
12 safety issues that have been outstanding for a number of
13 years, and although good progress is being made, they're
14 not coming to -- they're not coming to conclusion. So
15 that is really why we trended it downwards.

16 What we're looking for from OPG is for a
17 clear plan of action, and we have requested that so that
18 we can monitor it and we can see that those safety margins
19 will be, if you like, respected and restored.

20 **THE CHAIRPERSON:** I just think that there's
21 a point to be made here. When a licensee has an
22 opportunity to look at the assessment of the staff and
23 still comes back with a presentation that shows that
24 everything is perfect and the staff don't feel that it's
25 perfect, this, to me, is one sign of -- one reason why the

1 Commission would question the culture of an organization.

2 And so it's extremely important, if there's
3 - if you have objective reasons to differ from a science
4 point of view or with the analysis that the staff gives,
5 it's important for you to acknowledge that, but you've had
6 ample opportunity to look at the work that the staff have
7 put forward.

8 So this gap that the Commission is
9 recognizing is important for OPG to address and to address
10 in a way that -- to understand, in the view of the
11 Commission, the standards to which you should be holding
12 yourself, the regulatory standards are the basis upon
13 which you would look at yourself. It's not the top.

14 So if you look at yourself as being -- if
15 you're looking at yourself and you think that the
16 regulatory standards are too high, and based on what has
17 been put forward by the staff as being evidence and advice
18 to the Commission, well, then you must understand that the
19 Commission is sort of thinking to itself, "What's going on
20 here?"

21 So it's important that the presentations
22 that you give are objective, but if there are issues,
23 well, then you address them proactively in looking at
24 that, and I think in a way that's what perhaps I could
25 interpret part of the discussions being.

1 Do you have further questions at this time?

2 **MEMBER GRAHAM:** I just had one other
3 question, because I know my colleagues have some also.
4 And this is -- pertains to OPG's presentation.

5 I look at some of the graphs and trends and
6 so on, and probably I could refer to the one on page 113
7 and 151, Personal Contamination Events. There seemed to
8 be a trend upwards up to 2006. Granted, 2005 was down,
9 but 59, 69, 80 and even 57 in 2007, and I looked at some
10 of the other graphs, and up -- during the last licensing
11 period there seemed to be quite a jump in around 2004-2005
12 in some of the graphs and then they've levelled off.

13 I wonder if you could care to comment what
14 -- first of all, what happened in 2004-2005 and, also --
15 and then -- that's on graph on page 94 of 151.

16 But, all through the report, there seemed
17 to be, in the first few years of that law -- the last
18 licensing period, you seem to be having -- even though
19 they were within guidelines, they were higher than what
20 they've credited in the last year, and I'm wondering what
21 happened there. Was there a different safety culture
22 being practiced? Or -- what exactly happened?

23 Perhaps start with page 94-151, in which
24 there was quite a jump on 2004-2005 and if you care to
25 comment. And then the following page, 95; again, water

1 releases. One of the first is air; and then water. Oh-
2 two ('02), '03, '04 seemed to be quite a large jump, in
3 that last licensing period.

4 **MR. ROBBINS:** Wayne Robbins for the record.

5 I'm going to start with 94 and 95. Looking
6 at things like the water releases, we do have graphs
7 showing that we are trending down. The exact specifics
8 for a spike, Mr. Graham -- I will have to get back to the
9 staff on that. I do not have the information.

10 But when I look at things like the personal
11 contamination events on 113, we've used Darlington's
12 culture to look at the outside -- to look at benchmarking.
13 That's how we learn; we observe; we get out in the field;
14 we see what best events are and -- are we reporting?
15 What's our threshold?

16 So then we go from that, and we actually
17 encourage observation and focus in on specific areas. In
18 some areas, that has caused a spike in observations; a
19 specific focus from benchmarking and industry practice.
20 Then we put compactions in place. As you see, the trend
21 will flatline or decrease, but generally it's an
22 indication of a focus.

23 **MEMBER GRAHAM:** You'll have some further
24 clarification on day two, with regard to the other graphs
25 that I mentioned, you said?

1 **MR. ROBBINS:** Wayne Robbins for the record.
2 Mr. Graham, we can get further
3 clarification for day two on specific graphs that you
4 referenced on page 94 and 95, specifically.

5 **THE CHAIRPERSON:** Are there comments from
6 the CNSC staff on this matter?

7 I'm sorry; the counsel has reminded me it's
8 not getting back to staff, it's getting back to the
9 Commission, okay? Could we make that clear?

10 And, if the staff have any comment at this
11 time on the question, from Mr. Graham?

12 **MR. VIGLASKY:** No, we have no -- we have
13 nothing further to add at this point.

14 **THE CHAIRPERSON:** May I turn to Dr. McDill?

15 **MEMBER McDILL:** Thank you. My first
16 question is with respect to the safety analysis.

17 What is the intended procedure for dealing
18 with the invalidated computational codes?

19 I'll ask OPG first.

20 **MR. ROBBINS:** Wayne Robbins for the record.
21 So your question is what -- how do we do
22 with invalid computational codes?

23 **MEMBER McDILL:** The -- during the
24 presentation, the comment with respect to safety analysis
25 was that there was discrepancies caused by the use of

1 unvalidated computational codes.

2 **MR. ROBBINS:** For the record, Wayne
3 Robbins.

4 I'd like to turn over to Mr. Craig Sellers
5 to answer that question, please.

6 **MR. SELLERS:** For the record, Craig
7 Sellers.

8 I think we have to understand that
9 standards have been increased and, specifically, CSA
10 Standard N286.7 has been introduced in 1999.

11 When the original licensing basis was
12 submitted, we did not have that standard to adhere to.
13 What we did do in the original licensing -- when we had
14 computational codes, we would validate against
15 commissioning data of the plant when it started up, to
16 assure ourselves that that -- that the computational codes
17 were, in fact, providing us with outputs that were, in
18 fact, valid.

19 If you go to 286.7 it calls for a
20 validation plan to be prepared by qualified staff. All
21 our codes that have been developed since that time have
22 been compliant with 286.7.

23 What staff is asking us to do is go back
24 and look and revise, and review the codes that were used
25 in the past and confirm that they are, in fact, valid. We

1 have got recent correspondence from the staff and we've
2 made a commitment to respond to them by mid-December with
3 an action plan in terms of the timing and the milestones.

4 **MEMBER MCDILL:** Thank you.

5 Does staff have any comment on that?

6 **MR. VIGLASKY:** Yes; if you recall, last
7 month staff made a presentation to the Commission
8 regarding the new regulatory documents, and one of those
9 documents was RG-310 which was the standard for carrying
10 out safety analysis. The Commission, after that meeting,
11 approved the issuance of that document for implementation.

12 During the presentation that I made, we
13 were -- we discussed how we're going to implement that
14 document into the operation of ongoing nuclear power
15 facilities, and Mr. Sellers' comments are very
16 appropriate.

17 We are now in discussion -- trying to
18 identify what areas of the safety analysis should be
19 reviewed, to ensure that they are carried out with
20 validated codes and meeting those new requirements.

21 **MEMBER MCDILL:** Thank you.

22 So that is also, then, what is referred to
23 on page 37 in 3.3.1.4 with reference to RD-310; is that
24 correct?

25 **MEMBER MCDILL:** Thank you; that takes care

1 of another question.

2 On page 20 of the same document, there's a
3 reference to staff tampering with public address speakers;
4 on page 25, there's a reference to bypassing a TSSA hold
5 point during an inspection or a test. Those may be small,
6 isolated issues, but do -- maybe I could ask OPG if they
7 reflect something that's happening at the employee level,
8 that is of concern?

9 **MR. ROBBINS:** Wayne Robbins for the record.

10 I'll start with the P.A. system. As you
11 see, we did have a trend in the past with people tampering
12 with P.A. systems. We put a focus in place to really
13 emphasize the importance of the P.A. system.

14 You'll notice that the CNSC staff have said
15 the situation has improved. We've also done a very large
16 campaign to get our staff out in the field -- to get them
17 to look at the P.A. system as a safety system; it's
18 warning people of events. It's a human performance issue
19 and we really elevated that to significance, and that's
20 been very effective.

21 We've also gone down the field observation
22 by managers to help focus on this area and, through those
23 initiatives, we have had good performance to date. So I
24 don't see a trend of negative issues with the P.A. system.

25 As far as missing the one hold point, that

1 was a procedure missed, on that. I believe that is a one-
2 off event and we are continuing to monitor that, though,
3 in our pressure boundary program.

4 **MEMBER MCDILL:** And, does staff have any
5 comment -- or agree or disagree with those comments?

6 **MR. SCHWARZ:** Gary Schwarz for the record.
7 Yes; the incidents of speaker-tampering
8 have been a difficult one for the station to deal with,
9 and they certainly have been making a lot of efforts and
10 they have been making some gains, lately. So the numbers
11 of incidents of these have been going down.

12 With regard to the hold point being missed,
13 we've taken a look at this and, as far as we can see,
14 there's no problem from a process point of view. And
15 that's what concerns us most, is that there would be a
16 process issue, here, and the station has been taking the
17 appropriate measures to correct these occurrences.

18 So, from our perspective, the station has
19 been taking the appropriate corrective measures.

20 Thank you.

21 **MEMBER MCDILL:** Thank you; and one follow-
22 up to Dr. Barnes with respect to the rate of FAC on the
23 feeders' flow-assisted corrosion -- excuse me.

24 Has there been any upward trend in the 40
25 to 60 microns per year, or is it pretty much flat and

1 linear?

2 **MR. ROBBINS:** Wayne Robbins for the record.

3 I would like Craig Sellers to answer that
4 on the feeder-specific, on the 40 to 60 micron rate.

5 **MR. SELLERS:** Craig Sellers for the record.

6 We have not seen an upward trend, yet, on
7 feeder thinning at Darlington.

8 We continue to monitor and continue to plot
9 the data. We've been actually acquiring feeder thinning
10 data since about 2001, so it's fairly new yet to draw
11 absolute, conclusive evidence, but what we have seen to
12 date is in that range; around 60 to 100.

13 **MEMBER MCDILL:** And there is some
14 discussion in that same section on page 48 about
15 intergranular cracking and none has been observed at this
16 point and it sounds a bit -- in reading it, that staff is
17 a little concerned and that OPG has not yet found any
18 intergranular cracking.

19 But, perhaps I could ask what the
20 scientific or engineering procedures are that you have in
21 place to keep an eye on that?

22 **MR. SELLERS:** Craig Sellers, for the
23 record.

24 Certainly, during our inspections of the
25 feeders, we're looking for cracking in terms of UT, sure

1 wave and creeping wave.

2 These microcracks cannot be detected by
3 that methodology, so when we remove feeders we take them
4 to our research facility Kinectrics and examine them for
5 microcracks. We have examined three feeders from
6 Darlington; we have not seen any microcracks in those
7 feeders.

8 **MEMBER McDILL:** So the plan of action then
9 is when there is a replacement, you will test?

10 **MR. SELLERS:** Craig Sellers, for the
11 record.

12 That is correct.

13 **MEMBER McDILL:** Could I have staff's
14 comment on that, please?

15 **MR. SELLERS:** I'd like to ask Mr. Glen
16 McDougall to answer that question, please.

17 **MR. McDOUGALL:** Glen McDougal, for the
18 record.

19 Yes, what Mr. Sellers says is essentially
20 correct. As he points out, the only reliable way of
21 detecting microcracks is through destructive examination.

22 OPG removed three feeders in the fall 2006
23 and examined them for evidence of cracking and they did
24 not detect any.

25 They have an ongoing crack inspection

1 program that is more or less risk-based. Essentially what
2 they're doing is, they have determined the areas of
3 feeders which would be most likely to be susceptible to
4 intergranular stress corrosion cracking and they treat
5 those as a priority for their cracking inspections.

6 **MEMBER McDILL:** Thank you.

7 You said he was essentially correct? Is
8 there something I should ask about that?

9 **MR. McDOUGALL:** No, I didn't mean to
10 indicate that there was anything missing; only that he was
11 giving general comments on a very complex, technical
12 issue.

13 **MEMBER McDILL:** Thank you.

14 **THE CHAIRPERSON:** Dr. Barnes?

15 Sorry, no.

16 Monsieur Harvey?

17 **MEMBER HARVEY:** My first question relate to
18 the table on page 4.

19 There is only one 'C' in the table there,
20 which is fairly good, but I would like to have just an
21 explanation of the -- of that 'C', because in the report
22 can read that the licensee has made considerable progress
23 in identifying, resolving some of outstanding EQ issues.

24 And the implementation and sustaining
25 aspects of the program are still evolving and have not yet

1 met CNCS (sic) expectations -- CNSC.

2 I just want to know the nature of the
3 message given to the Commission when you say "still
4 evolving." Yes, there is a small arrow going up but there
5 is no target date; what is the nature of the message and
6 what can we deduct from that.

7 For example, in the day two, which staff
8 have evolved to a sufficient point to have a 'B' or what's
9 the nature of that?

10 **MR. SCHWARZ:** Garry Schwarz, for the
11 record.

12 There's a fair bit of field work left to be
13 done, and there's also a fair bit of documentation work to
14 be done to really get the equipment list lined up in such
15 a way that there is a direct link between the equipment
16 that needs to be maintained, qualified and the source
17 document that really specifies what that qualification has
18 to be which typically is an accident analysis in the
19 safety report, which defines the extreme environmental
20 conditions.

21 OPG is going to be finished the job --
22 right now they're -- by 2010, at the end of 2010. They
23 will be finished this work and a 'C' rating, as far as we
24 are concerned basically remains in place until
25 essentially, all of the work is completed.

1 So you will likely see the 'C' rating
2 remain until 2010 unless the licensee is able to speed up
3 the work in some way and complete it essentially, earlier
4 than that.

5 But we've -- and -- but we have accepted
6 this particular proposal from the licensee; we understand
7 this.

8 From a safety perspective, there's not an
9 issue because the equipment remaining to be qualified has
10 been looked at and examined to ensure that its lack of
11 qualification, if I might put it that way, is not going to
12 impinge on any particular accidents.

13 So from a safety perspective, there is not
14 an issue here, although some things do need to be replaced
15 just to bring their environmental qualification fully back
16 up to speed.

17 **MEMBER HARVEY:** And that will stay under
18 compliance until 2010?

19 That's ---

20 **Mr. SCHWARZ:** That's correct.

21 It will stay under -- that radar screen of
22 a 'C' rating until 2010, until the work is all done.

23 **MEMBER HARVEY:** That conducts me to the
24 other question; which is in the same line on page 6 of the
25 H20.

1 You say not all items discussed in that
2 document of equal importance to safety. I understand that
3 very well but the only problem is the fact that if you
4 discuss an element here in the report, it should be of a
5 certain importance.

6 And each time that is just considered like
7 not so important he can -- that can stay there for years
8 and -- and there are no pressures on the licensee to solve
9 the problem because, well the licensee can read the
10 document and see that you consider that not important.

11 So I'm not comfortable with the fact that
12 we've got elements quite hot in those documents which are
13 not important.

14 So -- well, it might be just a comment but
15 that's a problem for me, not to be able to -- I've got to
16 just discard those things and say it's not important but
17 why are you discuss those things in the document?

18 **MR. VIGLASKY:** Thank you very much. It's
19 Tom Viglasky for the record.

20 Thank you very much for your record.

21 When we prepare the CMDs, we try to make
22 them address the total aspect of the facilities operation,
23 even those areas that are not safety significant. So we
24 want to make -- ensure to the Commission that we are
25 looking at all aspects of the operations.

1 We do try and focus in on the safety
2 significant issues.

3 Environmental qualification -- even though
4 we say it will take until 2010 for OPG to complete the
5 work, we've accepted that environmental qualification is
6 very important. We ensure that there is redundancy in the
7 existing systems to ensure a continued safety even though
8 all the equipment is not environmentally qualified.

9 The problem is from OPG's point of view and
10 they should be able to respond to this, is that most of
11 this work has to be done when the units are down because
12 of the location of the equipment; so it has to be
13 scheduled as work during outages as performed.

14 We do think it's important though.

15 **THE CHAIRPERSON:** I think what I may add to
16 this as well, is this is during the licence period for
17 which there is an application before us. So we are
18 talking -- 2010 is within the preview of this licence
19 period, so we would accept that this work has to happen
20 within this licence period and, in fact, mentioning it
21 here and in the annual reports does keep the feet to the
22 fire of the company. It -- but I think the work has to be
23 required at a level that if it was necessary immediately,
24 it would be done immediately, and I think that would be
25 true.

1 **MEMBER HARVEY:** It's on page 19, regulatory
2 document R-8, we can read:

3 "Complete operational test to
4 demonstrate the effectiveness of each
5 shutdown system shall be carried out
6 at least once every two years. The
7 staff has contracted a consultant to
8 assist in the review of the
9 acceptability of the change."

10 What is the intention in that study? Just
11 to -- at the end, to change the regulatory document or
12 just to test if the modification to that two-year
13 obligation would be even satisfied with the -- I'm sorry,
14 I don't know if you understand very well.

15 What I want to say is that you want to
16 change it, and are you just testing if the change would,
17 despite that, satisfy the regulation?

18 And a complement of that is when are you
19 expecting the report? Will we have the report at the Day
20 Two or what is the time target for the report?

21 **MR. SCHWARZ:** Garry Schwarz, for the
22 record.

23 I'll answer the last one first. It's the
24 easiest. We have the report. We will be meeting with the
25 licensees later on this month to go over the report,

1 basically, with OPG.

2 The intention really is to basically
3 determine -- the reason that we hired the contractor was
4 to get some independent advice in terms of whether or not
5 it was acceptable from a safety point of view to extend
6 the testing frequency to once every three years for both
7 of these shutdown systems. And we're talking here about
8 the complete test of the shutdown system, where they have
9 to, from power, either drop the shut-off rods and check to
10 make sure that the shut-off depth and rate of reactivity
11 change is acceptable, and the same thing with shutdown
12 system number 2, which uses poison an injection.

13 So the question was, is it acceptable to
14 change that test frequency from once every two years to
15 once every three years?

16 And the reason that that request was made
17 was because OPG is going to a three-year outage cycle for
18 their reactors, and if they have to test -- continue to
19 test the shutdown systems once every two years, of course,
20 that means that you have to take an outage in between.

21 So OPG took and reviewed it. They
22 determined that there was no impact on the continued
23 reliability, safe operation of the facility. We wanted an
24 independent opinion and we hired a consultant to bring us
25 an independent opinion, and that's what we have in front

1 of us now and we'll be looking at that.

2 If, basically, CNSC staff agree to that,
3 then we will be proposing a change to R-8 to change that
4 testing frequency.

5 **THE CHAIRPERSON:** My understanding is
6 that's been in place for quite some time, that document?

7 **MR. SCHWARZ:** Yes, it has. For Darlington
8 it's been in place since Day One of the operation of
9 Darlington.

10 **THE CHAIRPERSON:** I have a question.
11 Unless I'm missing it, I don't see an organization chart
12 actually in the CMD from OPG. Did I miss it or is there
13 not an organization chart in here? I know that there's a
14 note that this document has been supplied separately to
15 the staff, but there isn't one in the CMD.

16 **MR. ROBBINS:** Wayne Robbins, for the
17 record.

18 I don't have the date, but there was a
19 document provided separately for the organization.

20 **THE CHAIRPERSON:** The Commission would like
21 a copy of an organization chart that clearly shows
22 responsibilities, clearly shows who is in charge of the
23 quality program and health and safety, et cetera. So this
24 is the normal requirement from us. So if we could have
25 that in a CMD for Day Two, I would appreciate that.

1 Staff have commented on, as they understand
2 it, the plans for the five years. So since OPG is asking
3 for a five-year licence, we would like you to, in your
4 supplementary for Day Two, outline your view as to what
5 will be the five -- what will happen during these five
6 years, in that that wouldn't be normally the role of the
7 staff; that would be normally your role to say that,
8 during those five years, this is what will be happening in
9 that period of time.

10 I have a question. I note that -- and
11 correct me if I'm wrong -- this is a question for OPG: In
12 the area of consultation that you've used with the
13 stakeholders, I appreciate that it's a broad approach, but
14 I notice that it's still very much focused, if I'm
15 correct, on the Darlington-Clarington area.

16 In some earlier -- I believe it was one of
17 the EA discussions on Pickering, there was certainly a lot
18 of interest in the Toronto area as well. And I'm just
19 wondering, is there any plans from OPG's point of view --
20 because I know it's a corporate program, not necessarily a
21 Darlington program -- to extend the consultation area that
22 you've used in your consultations?

23 Certainly, I can imagine when there's new
24 build there's going to be a lot of interest. So I would
25 assume that this would be something that you'd want to

1 think about now.

2 **MR. MITCHELL:** For the record, Tom
3 Mitchell.

4 Well, we certainly do consult in the
5 Pickering area and as you've mentioned quite correctly, we
6 have, as part of the refurbishment environmental
7 assessment, we have been consulting on a broader area.

8 I think what was referred to here was a lot
9 of interactions that we have, obviously, with the local
10 community. We do host press tours and other tours for
11 reporters, including from the Toronto newspapers. So I
12 think that we have a broad outreach, but I take your
13 comment as one that I think is quite important, and I
14 would like to go back and reflect on that because, as you
15 say, you know, it is really a regional issue. And, in
16 fact, what I would say is that we have probably done quite
17 a bit of consultation in the Durham region because
18 obviously our two facilities are in that area. Our
19 nuclear headquarters is in that area.

20 I think your question is have we looked
21 broader than that.

22 **THE CHAIRPERSON:** Yes, I think in your
23 reflection what I would like you to do then is discuss the
24 area that you have been involved in, in the broader area
25 for Day Two, but certainly I think it's reasonable to say,

1 from the experience that we've had in the Commission and,
2 as I say, on the EA process that we looked at for
3 Pickering, as you may recall, this was actually required
4 by the Commission that the process be broader because of
5 interest. So I think one could assume that this is a
6 process that will be natural, a natural process. And
7 since the Commission thinks it will be very involved in
8 both refurb and new build, that this would save us all a
9 lot of building of relationships later, if it was done
10 now. And we'll ask the staff, as it comes through, to
11 mirror this in the discussions that we have as well. But
12 I think all of us are going to have to change.

13 **MR. MITCHELL:** Madam Chair, we will expand
14 our discussion on that in the Day Two material.

15 **THE CHAIRPERSON:** Not unrelated -- and it's
16 a question for CNSC staff -- not unrelated to the
17 organization chart is the issue of qualified staff. I
18 think you did make a comment in reply to a question
19 earlier from Mr. Graham, that as far as you were
20 concerned, there was qualified staff.

21 Is that based on documents that you
22 received from OPG for this facility? Do you have an
23 opportunity to regularly look at this to look at the
24 number and type of staff in areas to determine if there's
25 enough qualified staff?

1 **MR. SCHWARZ:** Thank you, Madam Chair.

2 Garry Schwarz, for the record.

3 Yes, indeed, we do look at what's actually
4 there on the station. Our inspection staff at the
5 Darlington site, as a part of their routines, they go
6 around and they look and they see and they ask questions
7 about the numbers of qualified staff.

8 And so in their back and forth dialogue
9 with OPG people at the site, they do get a very good
10 understanding of the numbers and the qualifications of the
11 staff. So that's something that they do as a part of
12 their regular inspection, and that was really the basis
13 for the comment that I made, that in fact, as far as the
14 staff are concerned, there are, indeed, adequate qualified
15 staff at the facility.

16 **THE CHAIRPERSON:** The Commission is aware
17 that there is a lot of discussion going on about periodic
18 safety reviews and the implications of this in the broad
19 context.

20 Would OPG or the staff like to make any
21 comments with regards to periodic safety review analysis?

22 **MR. VIGLASKY:** Can I start then? Tom
23 Viglasky, for the record.

24 Our intent in the near future is to come to
25 the Commission with a proposal for implementing a periodic

1 safety review concept into our regulatory processes.

2 One of our licence requirements, as we
3 talked about here, the change is for document production
4 and document control, and that really is one of the first
5 steps to leading into a periodic safety review approach to
6 regulation.

7 Once a licensee defines its upper level of
8 controlled documents that it will have in place to control
9 its operations, we would then allow the licensee to
10 operate into that framework without having to come back to
11 the Commission for additional approvals.

12 So it's a first step to enhancing the
13 safety, I would say, of the nuclear facilities because it
14 would require a formal periodic review of the safety of
15 the plant comparison against current standard, and
16 requirements to come up with corrective measures to
17 upgrade the safety levels of the facility as it goes on
18 during the years.

19 **THE CHAIRPERSON:** But it wouldn't have
20 applicability then for this licence renewal that we see?

21 **MR. VIGLASKY:** No, not yet, Madam. We have
22 not come to the Commission with this proposal yet.

23 **THE CHAIRPERSON:** So OPG doesn't have to
24 react or you may wish to, Mr. Mitchell.

25 **MR. MITCHELL:** Tom Mitchell, for the

1 record.

2 Just a comment; I think we have been
3 working on the building blocks of this with references and
4 I think we are all gaining some experience as part of the
5 refurbishment at Pickering B. We are doing what is called
6 an integrated safety review, which in many cases is
7 basically a periodic safety review, except you do it in
8 that instance, and we would like to build on that
9 experience.

10 We think there is probably some additional
11 building blocks to using that information, in particular
12 with regards to risk-informed decision-making,
13 prioritising the output of that information, and how to
14 lay that out into a safety implementation plan that would
15 become something that we would commit to as part of that
16 overall process.

17 So I think we are making progress on that
18 area, just not specifically right now at the Darlington
19 facility.

20 **THE CHAIRPERSON:** Thank you very much then
21 for that.

22 Round two, any questions? Yes, Mr. Graham.

23 **MEMBER GRAHAM:** Two very short questions.

24 First of all, as a follow-up to the
25 Chairman's questions with regard to communications and, in

1 your CMD, you talk about your newsletter Neighbours, which
2 is distributed to 90,000 homes on a quarterly basis.

3 My question would be, in that newsletter,
4 has it been indicated that you are now applying for a new
5 five-year licence? Are the general public aware, through
6 that newsletter that you are applying for a new five-year
7 licence renewal and more or less a news item as to what is
8 expected and what is required, and more or less some
9 overview of how that licence process works? Has that been
10 done?

11 **MR. ROBBINS:** Wayne Robbins, for the
12 record.

13 Not specifically in the newsletter. We
14 will be planning on that in upcoming newsletters coming
15 out, but we are certainly keeping the council informed.
16 We are communicating the re-licensing with the council
17 directly on a much smaller focus, but the newsletter, we
18 do have to enlighten more on the licensing period in that
19 re-licensing.

20 **MEMBER GRAHAM:** So in your next newsletter,
21 which is on a quarterly basis which will come out sometime
22 relatively soon, you are indicating now that you will
23 notify or will let the 90,000 households know of the
24 renewal application and the process of which you're
25 following and so on? Is that what I understand?

1 **MR. ROBBINS:** Wayne Robbins, for the
2 record.

3 Yes, that's correct. We will be doing that
4 to communicate to people about the licensing program and
5 re-licensing at Darlington.

6 As I said, we've done it more locally,
7 specifically around the council, but not directly in the
8 newsletter.

9 **MR. GRAHAM:** Just an observation. It might
10 be prudent that those 90,000 households would be aware.

11 My only other question is, and then I think
12 at the outset of your remarks today, this is to OPG again,
13 you said that you're more or less promoting people coming
14 or staff coming forward, workers coming forward with their
15 concerns and so on. And then in an earlier intervention
16 today -- earlier licensing application today, I asked a
17 question about whistleblowers.

18 Could you indicate roughly how many
19 ordinary staff within the organization come forward on an
20 annual basis with their observation and concern about the
21 way things are going or about the way management is doing
22 things?

23 **THE CHAIRPERSON:** And what that mechanism
24 is I think.

25 **MR. ROBBINS:** Wayne Robbins, for the

1 record.

2 We have several layers to protect and
3 encourage whistle blowing. We have our self-reporting
4 system, which is the SCR process. That's a process that
5 all of our staff can get on and put impersonal suggestions
6 or concerns into the system, and we do track that every
7 day.

8 We also have an ombudsman process that is
9 corporate driven, that is enabling an employee to come
10 forward and identify issues and concerns in a private
11 manner.

12 We also have our staff out in the field
13 engaged with people; talking, encouraging people to speak
14 up, tell us what your issues are. We encourage a lot of
15 face-to-face dialogue to make sure that we understand the
16 issues and get them out.

17 **MEMBER GRAHAM:** And the other part of the
18 question was, of issues of significance, how many would
19 you get a year?

20 **MR. ROBBINS:** Wayne Robbins, for the
21 record.

22 I would have to get back to you on that,
23 Mr. Graham. I do not have the numbers specifically with
24 the ombudsman. I can tell you how many SCRs we would
25 generate, in the 15,000 range SCRs a year, which are

1 equipment people, all kinds of conditions.

2 **MEMBER GRAHAM:** Okay. On Day Two, if we
3 could maybe have a specific number of major concerns that
4 perhaps wouldn't have come to light if you didn't have a
5 process like a whistleblower; that the general workforce
6 didn't have that mechanism. I would like to see how much,
7 how often and maybe how they were act upon, if they were
8 of major nature. Thank you very much.

9 **MR. ROBBINS:** Wayne Robbins, for the
10 record.

11 What you'd like then is more on the
12 ombudsman process, the numbers and the significance?

13 **MEMBER GRAHAM:** Well, your explanation was
14 that the ombudsman was maybe more of the significant ones.

15 **MR. ROBBINS:** Correct.

16 **MEMBER GRAHAM:** If there were significant
17 ones that go through the general process, then I think we
18 should have it also, but out of 15,000, I'm sure not all
19 of the 15,000 were significant.

20 I'm talking about significant, whether they
21 be through the regular process or through the ombudsman
22 process, that we could more or less look at how
23 significant that process is in identifying problems at the
24 grassroots level.

25 **THE CHAIRPERSON:** Further questions?

1 Yes, Monsieur Harvey.

2 **MEMBER HARVEY:** Just a question of
3 comprehension. On page 8 of CMD H20.B, just at the bottom
4 of the page, at the licence condition 3.4:

5 "Administration process. Following
6 any reactor trip, the licensee must
7 immediately determine whether the
8 event could be a serious process
9 failure. If the event cannot be
10 clearly discounted as a serious
11 process failure, then it shall be
12 considered to be such for the purpose
13 of this licence condition..."

14 And then on the other page:

15 "CNSC staff must be advised
16 immediately of the event."

17 Must be advised when? After the decision
18 of the licensee or immediately when there is a trip?

19 **MR. SCHWARZ:** Garry Schwarz for the record.
20 Actually, our need to be advised relatively
21 immediately, I would put it that way. It's not immediate
22 at the instant, but within a reasonable timeframe. It is
23 also covered in S-99, our reporting requirements, right
24 now.

25 So the objective of this particular

1 requirement is to ensure that the CNSC staff are advised
2 promptly of this particular event having occurred.

3 Now actually, as it turns out, in our
4 current requirements, that's already required under S-99.
5 So this is being a bit repetitive here, to be honest with
6 you, but we would need to spell that out very clearly in
7 the final administrative process that we develop and that
8 we utilize for administering this particular condition.

9 **MEMBER HARVEY:** Because like this, we can
10 interpret that, that if the licensee decides it's not a
11 serious process failure, he doesn't have to inform you;
12 written like this here.

13 **MR. SCHWARZ:** There is an issue of
14 interpretation for events which border on being a serious
15 process failure, but because we have staff on site what
16 happens is the staff on site are notified about these
17 events whether it's a serious process failure or not, it's
18 a reactor trip, very quickly. Then we go into the
19 determination mode very quickly with the licensee.

20 That actually happens already even though
21 we don't have this particular license requirement because
22 serious process failures are very significant safety
23 events and that's why we basically take action on these
24 kind of things immediately. The licensee understands that
25 and the licensee knows that as well because, I won't speak

1 for Mr. Robbins, he can tell you himself, but I'm sure
2 that he will tell you that he is as much concerned about
3 such events as we are. They should not happen often in
4 the lifetime of a plant.

5 The design frequency for Darlington is
6 something like no more than one in 10 years and the reason
7 that they are so significant is because they call on the
8 special safety systems to respond in anger, if I may put
9 it that way, to the event, okay, because if they don't
10 respond then there are some significant consequences.
11 There are maybe fuel failures and other consequences as a
12 result. So these are significant occurrences and people
13 attend to them very quickly.

14 What this license condition does is it
15 basically says here is a fairly high-risk significant
16 event and it is one which warrants appropriate regulatory
17 oversight. That's what this is really bringing to the
18 forefront.

19 **MEMBER HARVEY:** Thank you.

20 **THE CHAIRPERSON:** I think there would also
21 be another part of it that if the licensee didn't report
22 an S-99 event that it would be a serious regulatory
23 infraction, so I think they would have to think very
24 seriously before that because the wrath of the Commission
25 would be -- I think it would be an angry response on the

1 part of the Commission as well as earlier events. So I
2 think there is a double incentive there as well.

3 This brings then to a close this hearing.
4 The members have decided that at this time they will not
5 ask for a closed session on security matters, but the
6 Commission, which is subject to the information in CMD 07-
7 H20A, reserve the right to have such a closed session on
8 Day Two. That's my part of this.

9 Over to the secretary.

10 **MR. LEBLANC:** So this hearing is to be
11 continued with Day Two on January 10, 2008. The public is
12 invited to participate either by oral presentation or
13 written submissions on Hearing Day Two. Persons who wish
14 to intervene on that day must file submissions by December
15 10, 2007. The hearing is now adjourned to January 10,
16 2008.

17 **THE CHAIRPERSON:** The hearing on the
18 application by OPG for acceptance of a revision to the
19 value of their financial guarantee and related licence
20 amendments will commence in 15 minutes.

21 Thank you.